

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD
SCIENTIFIC REVIEW PANEL

EARL WARREN BUILDING
455 GOLDEN GATE AVENUE
MILTON MARKS CONFERENCE CENTER
AUDITORIUM
SAN FRANCISCO, CALIFORNIA

THURSDAY, DECEMBER 10, 2009

9:39 A.M.

JAMES F. PETERS, CSR, RPR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

APPEARANCES

PANEL MEMBERS

Dr. John Froines, Chairperson

Dr. Paul Blanc

Dr. Craig Byus

Dr. Gary Friedman

Dr. Stanton Glantz

Dr. Katharine Hammond

Dr. Joseph Landolph

REPRESENTING THE AIR RESOURCES BOARD:

Mr. Lyn Baker, Air Pollution Specialist

Mr. Jim Behrmann, Liaison

Mr. Peter Mathews

REPRESENTING THE DEPARTMENT OF PESTICIDE REGULATION

Dr. Marylou Verder-Carlos, Assistant Director

Dr. Terrell A. Barry, Research Scientist III

Dr. Sheryl Beauvais, Staff Toxicologist

Ms. Carolyn M. Lewis, Associate Toxicologist

INDEX

PAGE

1. Review of the draft report, "Evaluation of Chloropicrin as a Toxic Air Contaminant," November 2009.

1

Adjournment

183

Reporter's Certificate

184

1 Scientific Review Panel on chloropicrin. I am Dr. Marylou
2 Verder-Carlos from the Department of Pesticide Regulation,
3 Assistant Director for Pesticide Programs Division.

4 PANEL MEMBER BLANC: Sorry to interrupt for just
5 a second. I'd like the minutes to also show that Dr.
6 Friedman is now with us.

7 DPR ASSISTANT DIRECTOR VERDER-CARLOS: First of
8 all, thank you to Dr. Paul Blanc and Dr. Kathy Hammond,
9 who spent considerable time with our staff to help improve
10 our draft assessment. And they provided excellent
11 comments on the assessment, which I hope their guidance
12 makes our presentation today clear to all the panel
13 members.

14 Thanks also to OEHHA staff, Dr. Chuck Salocks and
15 John Budroe, in particular, who joined us to confer the
16 leads last October.

17 We have also incorporated our responses to
18 OEHHA's final findings in the presentation. However, they
19 were not incorporated in the document in the draft you
20 received from November 10th, but they are incorporated in
21 the presentation. We will incorporate those changes in
22 our next revision of the document.

23 DPR has had a policy for the last several years
24 of completing risk assessments on all the fumigants.
25 Fumigants by their nature can lead to exposures and

1 represent about a quarter of the pounds of pesticides
2 applied, and they have varying degrees of hazard.

3 Our presentation of the chloropicrin assessment
4 today represents our efforts to continue to move forward
5 on our policy to fully assess the risks from fumigants and
6 put appropriate controls in place.

7 Chloropicrin is currently undergoing a
8 re-evaluation process at DPR. And this risk assessment
9 identified chloropicrin as a probable candidate for a
10 Toxic Air Contaminant. Our scientists will be discussing
11 its use patterns. But typically, it is used as a
12 pre-plant fumigant.

13 As with all of DPR's risk assessments, we take an
14 approach that incorporates various aspects of risk from
15 our environmental modeling, exposure assessments, and
16 toxicological assessments that consider the maximum rates
17 in the U.S. EPA-approved labels.

18 There are currently 10 counties that have placed
19 permit conditions on the use of chloropicrin. Those
20 permit conditions mean there can be no applications of
21 chloropicrin unless they are approved by the county ag
22 commissioner.

23 Since DPR cannot impose restrictions on use by
24 county-based permits without a completed peer review of
25 the risk assessment, we need your external peer review

1 before we can initiate implementing mitigation measures or
2 regulations.

3 In the meantime, DPR is currently evaluating end
4 to end statewide permit conditions for chloropicrin, which
5 may be implemented even before the culmination of the TAC
6 process.

7 Another issue raised about chloropicrin is its
8 use in combination with another fumigant, methyl iodide,
9 which is undergoing application for registration at DPR.
10 And it is currently under review by DPR, and we are
11 working currently with an external peer review committee
12 to review its risk assessment. Methyl iodide is not
13 currently registered for use in California.

14 At this point, I would like to turn over the
15 presentation to our DPR staff who have prepared the
16 chloropicrin document. Dr. Sheryl Beauvais will present
17 information on exposure assessment. Dr. Terry Barry will
18 present information on the environmental fate. And Dr.
19 Carolyn Lewis will present the health assessment.

20 Thank you.

21 (Thereupon an overhead presentation was
22 Presented as follows.)

23 DR. BEAUVAIS: Hello. I'm Sheryl Beauvais. I'm
24 with the Worker Health and Safety Branch. And if we're
25 ready, I can begin talking.

1 --o0o--

2 DR. BEAUVAIS: Chloropicrin,
3 trichloronitromethane -- it's trichloronitromethane -- is
4 a colorless volatile liquid that volatilizes readily in
5 use, and it is strongly and rapidly irritating to eyes and
6 the respiratory system. And that's the key property of it
7 in the risk assessment.

8 As Dr. Verder-Carlos indicated, it is a fumigant
9 active ingredient in soil fumigation, alone or mixed with
10 other fumigants. And the two that are currently
11 registered are methyl bromide and 1,3-dichloropropene,
12 which is sold under the trade name Telone. You may know
13 it that way.

14 And there is, of course, a proposed registration
15 of several products with methyl iodide. Those are not
16 registered, and this assessment is dealing with currently
17 registered products. So this is what we'll be talking
18 about today. Although, many of the things that I'm
19 talking about will also apply with the methyl iodide
20 registration if it were to happen, and that's -- that's
21 definitely not a foregone conclusion.

22 So chloropicrin is a soil fumigant, primarily
23 controls soil fungi and other pathogens and nematodes and
24 weeds.

25 Another use that chloropicrin has that I'll be

1 talking about intermixed with this is as a warning agent.
2 And that is it's a -- because it's irritating to eyes, it
3 gets mixed in in low concentrations with methyl bromide,
4 two percent or less, and to -- because methyl bromide has
5 no odor and it's difficult to detect. And so I'll
6 actually talk about what a warning agent is next.

7 --o0o--

8 DR. BEAUVAIS: A warning agent is a chemical that
9 has -- such as chloropicrin, it has good warning
10 properties, such as odor or irritation in the case of
11 chloropicrin. Ideally, you want to be able to detect the
12 warning agent at concentrations below which it, and any
13 chemical that it's mixed in with, are toxic.

14 For soil fumigations, chloropicrin is mixed with
15 methyl bromide at concentrations less than 2 percent. And
16 there are several other products in which chloropicrin is
17 mixed in at higher concentrations with methyl bromide.
18 And in those cases it's considered an active ingredient.

19 And for structural fumigations, there are two
20 methyl bromide products currently registered that have
21 between 1/2 and 1 percent respectively of chloropicrin,
22 that have instructions for structural fumigation. And
23 then sulfuryl fluoride is the major structural fumigant in
24 California.

25 And those labels require a co-application of

1 chloropicrin, in which you pour the chloropicrin into a
2 pan, as you see above here in the upper right-hand-corner.
3 This is a wicking -- what's called a wicking agent in
4 here. It's like a cotton batting, that you pour the
5 chloropicrin in there, place that in front of a fan inside
6 the house, and then that disperses the chloropicrin
7 throughout the house.

8 So with methyl bromide, when chloropicrin is
9 applied in structural fumigation, it's a mixture, with
10 sulfuryl fluoride, it is not, to just make that clear.

11 --o0o--

12 DR. BEAUVAIS: Chloropicrin is in re-evaluation
13 at DPR, because based on data that had been submitted
14 under the California Birth Defects Prevention Act. And we
15 required submission of several new studies from
16 registrants, and we have received all those data and those
17 are incorporated in the assessment.

18 And what we are here today to talk about is that
19 chloropicrin is also a candidate to be listed as a Toxic
20 Air Contaminant. There will be a full exposure
21 assessment. Is it in preparation right now. It will
22 follow this little more limited assessment by a few
23 months.

24 CHAIRPERSON FROINES: Does this mean that we're
25 going through the TAC process now --

1 DR. BEAUVAIS: Yes.

2 CHAIRPERSON FROINES: -- but that you will be
3 continuing to look at chloropicrin beyond --

4 DR. BEAUVAIS: Yes.

5 CHAIRPERSON FROINES -- even beyond what we
6 would --

7 DR. BEAUVAIS: Yes. The full exposure assessment
8 will contain the occupational and residential, other than
9 what we're talking about today. Today, we're talking
10 about bystanders and people entering homes that have been
11 fumigated with chloropicrin as a warning agent.

12 And then there are some other scenarios that
13 we'll deal with in the full exposure assessment. But we
14 won't be talking about occupational today, other than
15 occupational bystanders. So people who happen to be
16 picking strawberries, for example, adjacent to an
17 application, we'll talk about those.

18 CHAIRPERSON FROINES: So we won't take -- this
19 Committee won't take up the work that you do
20 subsequently -- subsequent to this?

21 DR. BEAUVAIS: I wouldn't expect, no. This is --
22 we're focusing on the scenarios that are pertinent to its
23 listing as a Toxic Air Contaminant.

24 PANEL MEMBER HAMMOND: Excuse me. So worker
25 exposures is not relevant to a Toxic Air Contaminant?

1 DR. BEAUVAIS: Worker bystanders are.

2 PANEL MEMBER HAMMOND: But not worker exposures?

3 DR. BEAUVAIS: As far as I know, as in the
4 occupational handlers and so forth.

5 PANEL MEMBER HAMMOND: That's just done by
6 Cal/OSHA, isn't it?

7 DR. BEAUVAIS: Well, no, we're doing them, but
8 that's not part of what you're looking at in this
9 document. Basically, in order to expedite the listing of
10 chloropicrin as a Toxic Air Contaminant, we prioritized
11 some scenarios. And that's these. There were a lot of
12 data for occupational, and so it's taking quite a lot
13 longer to get that portion of it done.

14 PANEL MEMBER HAMMOND: Oh, that's -- oh, okay.

15 DR. BEAUVAIS: And so in this document, we're
16 looking at screening estimates for bystanders to soil,
17 structural, and enclosed space fumigations; and with the
18 idea that if these estimates are okay, all of the lower
19 concentrations that someone could be exposed to, the full
20 range would be okay as well.

21 And because of that, when I look at soil
22 fumigation and structure -- or, I'm sorry -- enclosed
23 space fumigation, I'll only be talking about chloropicrin
24 as an active ingredient. Although, it can be used as a
25 warning agent in those settings. It's two percent. It's

1 a much lower concentration. So the highest exposures are
2 going to happen with the active ingredient use. And then
3 with structural fumigation, because chloropicrin is only
4 used as a warning agent, for those I'll talk about just
5 the 2 percent or less.

6 --o0o--

7 DR. BEAUVAIS: U.S. EPA has also been looking at
8 assessing the risk of the soil fumigants, including
9 chloropicrin. Chloropicrin's one of the active
10 ingredients that has risk mitigation measures that are
11 pending and in the process. EPA first proposed them in
12 2008, and they had amended documents released last May.

13 They have several soil -- several mitigation
14 measures that were supposed to be coming into effect with
15 the next growing season, followed by buffer zones and some
16 other mitigation measures that are to happen in 2011. So
17 we're running this, you know, just -- this is just sort of
18 background information for you right now. What this
19 assessment deals with is the current product labels and
20 the current regulations. So we're looking at current
21 legal uses.

22 But EPA is proposing mitigation -- or proposing
23 buffer zones of 25 feet to half a mile. Presently,
24 chloropicrin products -- the hundred percent chloropicrin
25 products do not contain buffer zone requirements, other

1 than the ones that may be put in place by county ag
2 commissioners, for example. But there are no statewide
3 requirements on chloropicrin for buffer zones.

4 CHAIRPERSON FROINES: Does that buffer zone of 25
5 feet to half mile -- how do you take into account
6 meteorology in that process?

7 DR. BEAUVAIS: Would you like to talk about
8 buffer zones, or shall we hold off on that, or ask Wendy
9 to come up --

10 CHAIRPERSON FROINES: Your call. Don't let me --

11 PANEL MEMBER BLANC: Let's come back to that,
12 John.

13 DR. BEAUVAIS: Okay. And I just want to point
14 out that EPA's risk assessment differs from ours in
15 several ways. And one of them is that they considered --
16 there's is a re-registration assessment. We are looking
17 at existing products. EPA is looking at products that
18 they would consider eligible for re-registration.

19 And so, the Chloropicrin Manufacturers Task Force
20 said that they would support certain products, certain
21 uses, and application rates that were different than on
22 existing product labels. And EPA incorporated all of that
23 into their risk assessment.

24 So they're saying if your products that comply
25 with all of this are eligible for reregistration is the

1 approach that they take.

2 PANEL MEMBER HAMMOND: That EPA takes?

3 DR. BEAUVAIS: That EPA takes. We, however, are
4 dealing with existing product labels and application rates
5 and conditions.

6 So I'll make that distinction.

7 --o0o--

8 DR. BEAUVAIS: And then just to -- here are some
9 of the key differences in the exposure assessment between
10 EPA and DPR. And the first of these is application rates.
11 Current product labels have soil fumigation application
12 rates as high as 500 pounds AI per acre.

13 And the Chloropicrin Manufacturer's Task Force
14 was supporting a maximum rate of 350. So EPA's risk
15 assessment is using 350. We're using 500. So you see
16 some differences along those lines.

17 Exposure durations is another key difference.
18 They looked at short-term exposures only. They don't have
19 seasonal, annual, or lifetime exposures, and we do. We'll
20 be talking about those. And the shortest interval that
21 EPA looked at, in terms of calculating exposure, was four
22 hour estimates. So they're looking at four hour peaks.
23 And we're looking at one hour peaks, and we'll be talking
24 about that as well. So essentially, those things factor
25 together to give us higher exposure estimates than EPA.

1 PANEL MEMBER BLANC: I just want to comment that
2 I think it's a very useful summary that you make. And I
3 want to note how encouraging it is to see the pesticide
4 group taking a public health protective approach by
5 choosing an inherently more conservative approach to the
6 data analysis.

7 And also, I think it is to be commended for using
8 what's actually happening on the ground as your guide
9 rather than some theoretical potential lower level at a
10 future point that hasn't yet occurred.

11 DR. BEAUVAIS: Thank you.

12 Currently, there are 47 products registered
13 containing chloropicrin in California. There are -- 25 of
14 those are methyl bromide. And of those 25, seven of
15 them -- I keep wanting to move the arrow, and instead I'm
16 changing the slide. Sorry about that.

17 Okay, so the second row there that says
18 Chloropicrin WA, that's in blue there, that's the seven
19 products that contain chloropicrin as a warning agent.
20 Those are methyl bromide products, between a quarter and 2
21 percent. And those are soil, space, and warning agent,
22 and structural fumigation uses. And in all of those
23 again, chloropicrin is considered a warning agent.

24 There is an individual product that is 10 1/2
25 percent. And we're not addressing it very strongly in

1 this exposure assessment, but in the full exposure
2 assessment we actually deal with these scenarios
3 separately. This product was registered with chloropicrin
4 identified as a warning agent even though the
5 concentration is very high.

6 When we drew that to the attention of U.S. EPA,
7 they weren't aware that the product had been registered.
8 They were surprised to hear that. And I don't know how
9 they're going to deal with that in re-registration. But
10 again, that's very high concentration to be calling a
11 warning agent. So we isolate that one separately.

12 And then we have 17 products in which
13 chloropicrin is an active ingredient and mixed with methyl
14 bromide. Concentrations of chloropicrin in those products
15 range between 19.8 and 55 percent.

16 And then as we've mentioned earlier, there are
17 approximately six products, I think, containing methyl
18 iodide that are proposed for registration in California.
19 And chloropicrin concentrations in those products would
20 range between 2 and 75 percent.

21 CHAIRPERSON FROINES: A question. And this is --
22 I'm ignorant on this, so excuse me for my question. But
23 the methyl -- obviously, I have a self-interest in methyl
24 iodide at this point.

25 Going up to 75 percent is not trivial compared to

1 the numbers that you see above that. Why is 75 percent
2 required with methyl iodide?

3 DR. BEAUVAIS: That's a good question. I don't
4 know the answer.

5 One thing I will point out though is that methyl
6 iodide being registered as an active ingredient does not
7 automatically imply that all those products would be
8 registered. Those individual products would be looked at
9 as well. So it may be that methyl iodide, if it were
10 registered, could be registered without that high
11 chloropicrin-containing product. We would look at the
12 products individually as well.

13 And I don't know the reason for having 75 percent
14 chloropicrin in a methyl iodide product.

15 CHAIRPERSON FROINES: You realize that from a
16 health standpoint, the obvious -- there's an obvious major
17 question, which is what are the potential interactive
18 effects between Telone and methyl iodide and chloropicrin.

19 DR. BEAUVAIS: Yeah.

20 PANEL MEMBER BLANC: Two comments.

21 One is I would actually correct what Dr. Froines
22 said. I think that -- well, I think what you meant to say
23 is that you have a particular interest in methyl iodide,
24 not that you have a self-interest in it. It could be
25 misinterpreted as implying some kind of conflict of

1 interest personally, which I know is not what you meant.

2 CHAIRPERSON FROINES: Did I say that?

3 PANEL MEMBER BLANC: Yes.

4 (Laughter.)

5 PANEL MEMBER BLANC: And then --

6 CHAIRPERSON FROINES: I always need Paul to keep
7 me on the straight and narrow.

8 (Laughter.)

9 PANEL MEMBER BLANC: You know, I notice that this
10 slide corresponds roughly to Table 2 in the document. But
11 in Table 2 in the document, the 10 percent chloropicrin
12 product is not broken out as a separate line.

13 DR. BEAUVAIS: And I'm sorry about that. I
14 intended to and forgot.

15 PANEL MEMBER BLANC: So I would suggest that in
16 your final version you did, because I think it is helpful
17 to make that clear.

18 DR. BEAUVAIS: Yes.

19 PANEL MEMBER BLANC: I know you have a footnote,
20 yeah. But reading it, it's not as clear as it might be.

21 DR. BEAUVAIS: Yeah, sorry about that.

22 PANEL MEMBER BLANC: And the other thing is that,
23 in terms of -- coming back to the question about methyl
24 iodide, which appears on this Table 2, which is good, and
25 with a footnote, is that the only place where explicitly

1 the issue of methyl iodide is commented on?

2 DR. BEAUVAIS: Yes.

3 PANEL MEMBER BLANC: I think it would warrant
4 also a line in the text to make that clearer. And I think
5 that when we come back to talk about the executive
6 summary, I would also suggest -- there's nothing wrong
7 with not devoting effort to methyl iodide in this
8 document, because, you know, it's a theoretical issue at
9 this point.

10 But I think it should just be more explicit that
11 we will not be dealing with it even -- it's not that we're
12 not aware that were it to be -- because just having it a
13 single footnote in the entire document is probably too
14 obscure.

15 DR. BEAUVAIS: Okay. It may be in the text too.
16 It's been awhile since I prepared it. I don't remember.
17 But --

18 PANEL MEMBER BLANC: It's not in the executive
19 summary, I don't think, prominently, not for me to have --

20 DR. BEAUVAIS: Okay.

21 PANEL MEMBER BLANC: Just double check on it.

22 DR. BEAUVAIS: Will do.

23 CHAIRPERSON FROINES: I should say in my defense
24 that when you chair a committee on methyl iodide and you
25 try and keep everybody working together and everything

1 going straight, you do actually develop a self-interest.

2 (Laughter.)

3 PANEL MEMBER BLANC: Self-protective?

4 CHAIRPERSON FROINES: Yeah, self-protection.

5 (Laughter.)

6 DR. BEAUVAIS: I'll go ahead and wrap up this
7 table here.

8 And in addition to the products I've already
9 mentioned, chloropicrin is also mixed in with
10 1,3-dichloropropene in concentration -- in 13 products in
11 concentrations ranging from 15 to 60 percent chloropicrin.
12 All of those are used in soil fumigation only.

13 And finally, we have nine products in which
14 chloropicrin is the sole active ingredient. And those are
15 for soil, space, and they contain also directions for
16 warning agent and structural fumigation, along with
17 sulfuryl fluoride.

18 Any more questions about products?

19 PANEL MEMBER BLANC: Well, just there's an
20 inherent contradiction that you must have struggled with,
21 which is that, in fact, when it's used with Vikane, you're
22 not using 2 percent chloropicrin. You're using a hundred
23 percent chloropicrin.

24 DR. BEAUVAIS: Right.

25 PANEL MEMBER BLANC: And so the definition of

1 it's a warning agent if it's less than 2 percent is a bit
2 challenging. I assume that by weight, if you'd use the
3 weight of the Vikane and then the weight of the
4 chloropicrin that is dispersed in one of those
5 fumigations, does it come out to be -- what percentage of
6 the weight of what's used is chloropicrin?

7 DR. BEAUVAIS: And I don't know that off the top
8 of my head. I can do that calculation. But I probably
9 should clarify, when I'm saying that 2 percent, I'm really
10 meaning soil fumigation.

11 PANEL MEMBER BLANC: Right, okay. That would --

12 DR. BEAUVAIS: And I should just -- in making
13 that clarification would -- but, you're right, I can also
14 check that calculation for structural. And I don't know
15 that at this point.

16 PANEL MEMBER BLANC: Okay.

17 --o0o--

18 DR. BEAUVAIS: So this graph shows chloropicrin
19 use with years across the bottom. And then millions of
20 pounds applied across the Y axis here. And the blue dots
21 there are the total use in pounds applied for all uses.
22 And then because the bulk of the chloropicrin use is in
23 pre-plant fumigation in strawberry fields, I'm showing you
24 the red line here is annual use reported for that.

25 And in that first bullet up there, I say at least

1 68 percent of uses were pre-plant strawberry. The reason
2 that I'm making that qualification is that there's a
3 category there of pre-plant soil fumigation, in which
4 crops are not identified.

5 And so when you look at, for example, that
6 between 2006 and 2007, the total use seems to go up quite
7 a lot more than the strawberry use. And that's -- the
8 difference is due to pre-plant soil fumigation, which the
9 crop is not identified. And a lot of that could very well
10 be strawberries, but I just don't know.

11 PANEL MEMBER BLANC: Although, I mean, one of the
12 aspects, when I looked at this figure, that I don't think
13 was commented on was strawberries account for the bulk and
14 continue to count for the majority. But, in fact,
15 proportionally, it appears that strawberries are, over
16 time, being less of a proportion. That is to say, there
17 are proportionally more other crops for which it's being
18 used.

19 And I think that aspect of this was not commented
20 on, because that does have implications for the counties,
21 where it might evolve to be more heavily used in the
22 future. I don't know if it's the same, you know, agri use
23 when you list some of the other crops. So it would be
24 adding maybe one sentence or one phrase in there, you
25 know, of note, however, the proportion over time appears

1 to be falling -- or the relative contribution of
2 strawberries.

3 DR. BEAUVAIS: Okay.

4 --o0o--

5 DR. BEAUVAIS: And this graph again is we're
6 showing years across the bottom. And we're focusing on
7 acres treated in agricultural applications. And the
8 purpose of this graph is to show -- I've separated out the
9 use reports by products and by concentrations of
10 chloropicrin within the products.

11 And so the black line that goes with the black
12 diamonds -- or black squares rather, I'm sorry, those are
13 all reported agricultural applications, in which
14 chloropicrin is at least 10 1/2 percent. So it's
15 chloropicrin alone or mixed with methyl bromide or 1,3-D.

16 And then the white diamonds are chloropicrin in
17 methyl bromide. And these are in -- I'm standardizing in
18 acres treated, because, of course, if I used pounds
19 applied, that would vary quite a bit by the product.

20 And what this graph shows basically is something
21 that you might predict, as methyl bromide is getting
22 phased out, that the white diamonds there drop down. And
23 the use of methyl bromide in its nearly hundred percent
24 configuration is going down considerably, and chloropicrin
25 is one of the ways -- the hundred percent chloropicrin, or

1 the higher concentrations of chloropicrin are taking up
2 some of that slack, because you're seeing that you were,
3 you know, approximately 50,000 acres a year.

4 And basically, as one goes down, the other's
5 going up to some extent. And there are other fumigants
6 that are taking up the slack as well.

7 --o0o--

8 PANEL MEMBER BLANC: So that accounts for why the
9 pounds per acre have also gone up essentially, right?

10 DR. BEAUVAIS: Yeah, that's part of it.

11 PANEL MEMBER BLANC: That's the explanation --

12 DR. BEAUVAIS: Yes.

13 --o0o--

14 DR. BEAUVAIS: Okay. And this is looking at
15 acres treated per day. Now, I'm going to be -- and when I
16 talk about the exposure estimates, I'll be giving you
17 assumptions that were used in calculating exposure
18 estimates. And so what the purpose of this graph is to
19 help show you how that assumption fits in with what the
20 use data are telling us.

21 So I'm assuming 40 acres is about the most that
22 someone -- that a crew can treat with a single rate per
23 day in soil fumigation. And so when you look at the
24 Pesticide Use Report, and this is over a five-year period
25 here, how that fits in there is that it's roughly the 80th

1 to 85th percentile of all uses reported.

2 And then I've circled in blue up in the upper
3 right-hand corner where they're reporting applications of,
4 you know, 250 acres, or in excess of 150 acres. And what
5 sometimes happens with the PUR is that someone will apply
6 for a series of days and report it on a single day. And
7 so I'm guessing -- certainly that's the case where that's
8 happening, and it may happen in some of the other
9 applications as well. So that's just some uncertainty
10 that's just built into the Pesticide Use Report as we use
11 these data.

12 And then also I'll draw your attention to the
13 50th percentile, because for context I'm presenting some
14 estimates also, assuming that if the application size were
15 15 acres instead of 40, what that does.

16 --o0o--

17 DR. BEAUVAIS: And also application rates. And I
18 get those by dividing the acres treated by the pounds
19 applied that are reported in the Pesticide Use Report for
20 individual applications. And I need to note also that
21 application methods are not reported in the Pesticide Use
22 Report. So I can't distinguish between applications
23 through drip irrigation or, you know, which are tarped and
24 which are embedded versus broadcast and so forth.

25 But across all applications reported -- and these

1 are applications reported as acres treated, with
2 effectively chloropicrin as a sole active ingredient. And
3 that's -- and the 50th percentile there is somewhere in
4 the range of 111 to 188 pounds AI per acre. I'm assuming
5 in my estimates -- in my screening estimates 500 pounds AI
6 per acre. And as you can see here, that's up above the
7 99th percentile.

8 --o0o--

9 DR. BEAUVAIS: I'm going to change gears now and
10 talk about illness reports coming in for chloropicrin.
11 And so cases are individuals who are reporting exposure or
12 exposure-related symptoms that they believe to be or that
13 there's evidence to support that they've been associated
14 with an exposure to a pesticide. So that's cases. And
15 then episodes are single incidents where a pesticide
16 exposure. And you can have multiple cases in a single
17 episode at times.

18 So the top graph shows the number of cases again
19 per year. With chloropicrin-only cases are in red.
20 That's a hundred percent chloropicrin products. And the
21 white ones are chloropicrin as an active ingredient, but
22 mixed in with other -- with either methyl bromide or
23 1,3-D.

24 And then the blue is chloropicrin as a warning
25 agent. So that would include sulfuryl fluoride

1 fumigations, structural fumigations of sulfuryl fluoride
2 and methyl bromide, or soil fumigation with methyl
3 bromide.

4 And so you can see that in 2003 and 2005 and 2006
5 we've had some episodes with very large numbers of cases
6 associated with them. And those are described in this
7 illness section of this exposure assessment.

8 PANEL MEMBER BLANC: Just to call to your
9 attention, that there's a formatting error in the draft
10 document, so that these two images are superimposed and
11 that --

12 DR. BEAUVAIS: Oh, yes. Yeah, that happened when
13 it got converted to the Acrobat, and I'm -- yeah.

14 PANEL MEMBER BLANC: Just make sure that gets
15 fixed.

16 DR. BEAUVAIS: Will do.

17 --o0o--

18 DR. BEAUVAIS: Okay. And then the most cases in
19 a single episode were a single drift case, 324 cases that
20 happened with a single episode, and that occurred in 2005.

21 PANEL MEMBER BLANC: So you can have an episode
22 with no cases, is that what --

23 DR. BEAUVAIS: Well, or --

24 PANEL MEMBER BLANC: Is that what this means? I
25 mean, so you have cases -- let's take 1992, where you

1 have -- oh, no, I'm sorry. The scale is different, right?

2 DR. BEAUVAIS: Yes.

3 PANEL MEMBER BLANC: Okay.

4 DR. BEAUVAIS: Yeah, what you're seeing there in
5 1992, there were no chloropicrin only basically. That's
6 why you're not seeing red bodies there.

7 PANEL MEMBER BLANC: No, no. It's just that I'm
8 looking at this -- the other axis is different. Here it's
9 your zero five ten --

10 DR. BEAUVAIS: Yes.

11 --o0o--

12 DR. BEAUVAIS: And then we also -- just to look
13 at the types of symptoms reported with these illness
14 cases, this generated this figure for the document. And
15 again we divided this out, chloropicrin alone in the left
16 group of bars, and the center group of bars is a
17 combination again of chloropicrin and either methyl
18 bromide or 1,3-dichloropropene. And then the far right is
19 either sulfuryl fluoride or methyl bromide with
20 chloropicrin as a warning agent.

21 Red bars are people reporting eye irritation or
22 symptoms related to the eye. Yellow bars are skin. Black
23 bars are respiratory effects.

24 And then systemic effects, the blue bars are
25 things like nausea, headache and things such as that.

1 PANEL MEMBER HAMMOND: I recall that the warning
2 agent you were telling us was related to the irritation as
3 distinct from the smell.

4 DR. BEAUVAIS: Yes.

5 PANEL MEMBER HAMMOND: But I would have thought
6 eye irritation would always be more than systemic or
7 respiratory, especially when it's as a warning agent. But
8 that doesn't seem to be true.

9 Do you want to comment on that?

10 PANEL MEMBER BLANC: Well, it's -- I tell you, I
11 think it's the nature -- this is an -- if you look at the
12 far right series of bars --

13 PANEL MEMBER HAMMOND: Yes, right.

14 PANEL MEMBER BLANC: -- those are the symptoms in
15 people who were exposed to a product which was a
16 combination of chloropicrin and Vikane or chloropicrin and
17 methyl bromide.

18 So with Vikane, you would expect systemic
19 effects. So that's why. And they can't tease out why
20 they were.

21 PANEL MEMBER HAMMOND: Okay, right. Yeah.

22 PANEL MEMBER BLANC: What you could say is that
23 it doesn't work very well as a warning agent, since people
24 seem to be exposed to enough of the second part of the
25 product to have non-warning agent effects be more common.

1 PANEL MEMBER HAMMOND: And, conversely,
2 chloropicrin alone on the left side, it is the large one.

3 DR. BEAUVAIS: Yes.

4 PANEL MEMBER BLANC: Now, if you go back to just
5 the previous -- to double figures, two small questions:
6 One, is it the lag time in the DPR analysis of case
7 reports that you don't have 2007 data even?

8 DR. BEAUVAIS: We do. They're in the process of
9 doing the double checking. They're not publicly
10 available. Nor is that true. That's not true. 2007 are
11 available. That means that figure is old.

12 PANEL MEMBER BLANC: I would try and update --

13 DR. BEAUVAIS: Yeah, and in fact the figure in
14 the table -- yeah, that may not be the same as the figure
15 I have in here.

16 PANEL MEMBER HAMMOND: Yeah, it's actually in the
17 report.

18 DR. BEAUVAIS: Yeah. So I'm sorry, this may
19 be --

20 PANEL MEMBER HAMMOND: But we can't read the
21 report because it's overlaid.

22 PANEL MEMBER BLANC: Right. So then my second --

23 DR. BEAUVAIS: Okay. Yes. Sorry about that.

24 PANEL MEMBER HAMMOND: It could be the second
25 one.

1 DR. BEAUVAIS: Yeah, we do have two --

2 PANEL MEMBER BLANC: Right, right.

3 And the other thing, I wonder if someone could
4 simply do for you a regression of pounds of use per year
5 and frequency of illness.

6 DR. BEAUVAIS: Okay. Well one of -- We are
7 looking at -- and we had talked about this before when we
8 consulted with you about the document about the
9 possibility of doing statistical analysis. And it's
10 straightforward. I've added a little yellow box up here
11 to show that we have in most -- the majority of the cases
12 people are reporting more than one symptom. So that the
13 statistics aren't straightforward for this. We are
14 looking into that, and that is -- yeah. And so probably
15 in a publication rather than in the document itself,
16 because we don't want to hold up the document for that.

17 PANEL MEMBER BLANC: Fine.

18 DR. BEAUVAIS: Bet, yes, definitely, that's --

19 PANEL MEMBER BLANC: It's not a major point, but
20 I think it underscores that it's not just on paper, that
21 there's more pounds used but there's also more illness.

22 DR. BEAUVAIS: Yeah. Okay.

23 --o0o--

24 DR. BEAUVAIS: Okay. Shifting gears again to
25 talk about the environmental fate briefly. And whether

1 chloropicrin is being used in structural or soil
2 fumigation, it dissipates into the air. That's its major
3 dissipation. It volatilizes out of the soil. And in
4 the -- we have some two-week studies that -- a field of
5 studies that show that on average, following shank
6 fumigation --

7 PANEL MEMBER GLANTZ: What is shank fumigation?

8 DR. BEAUVAIS: That's the metal shanks that go
9 into the soil.

10 PANEL MEMBER GLANTZ: That's what I thought, but
11 I --

12 DR. BEAUVAIS: Yeah.

13 Yeah, so, you know, roughly two-thirds of the
14 chloropicrin is volatilized in two weeks -- over a
15 two-week period. And then when you're talking about drip
16 fumigation, that much less of it is volatilized that way,
17 I mean just 15 percent over a two-week period. Or perhaps
18 it's taking longer. I mean two weeks is when they stop
19 monitoring.

20 Chloropicrin is also degraded both biotically and
21 through abiotic reactions. Field studies show half-lives
22 in the range of one to eight days.

23 And then once volatilized chloropicrin undergoes
24 a rapid photolysis with half-lives, that's predicted to be
25 less than a day in bright sunlight.

1 PANEL MEMBER BLANC: Can I ask a technical
2 question that may be -- and in the old days when we had
3 our guy from Riverside, he would answer this. Is there an
4 implication when you use the term "volatilized" as opposed
5 to "vaporized" what you mean? Did you choose that word
6 for a reason?

7 DR. BEAUVAIS: No, I didn't.

8 PANEL MEMBER BLANC: John -- John, as a
9 chemist --

10 CHAIRPERSON FROINES: I'm listening.

11 Nothing strikes my receptors that suggests that
12 volatilization and -- what word --

13 PANEL MEMBER HAMMOND: -- vaporized.

14 CHAIRPERSON FROINES: -- vaporization --

15 PANEL MEMBER BLANC: I thought when you
16 volatilized something, you heated it up in order to
17 accelerate its --

18 CHAIRPERSON FROINES: That may be true. I don't
19 know. I've not thought of that, the differences between
20 those two.

21 DR. BEAUVAIS: There is quite a large literature
22 that talks about volatilized pesticides though as
23 simply --

24 PANEL MEMBER BLANC: So it's a standard term?

25 DR. BEAUVAIS: Yeah.

1 PANEL MEMBER BLANC: Okay.

2 --o0o--

3 DR. BEAUVAIS: And persistence in the soil in --
4 OEHHA actually made reference to that in their finding
5 numbers -- in their findings about environmental fate.
6 And so I'm mentioning that here, that in laboratory soil
7 metabolism studies, the half-life was less than ten days.
8 It tended to be longer in sterile soils, as you predict.
9 But, you know, between 3 and 14 days versus 1 to 4 days
10 again in the laboratory; and again longer anaerobic and in
11 high moisture soils, which would also be sort of
12 anaerobic.

13 Field dissipation studies reported degradation
14 half-lives between 1 and 8 days.

15 There's a single report in the literature of soil
16 between a former manufacturing plant in Maine where there
17 were chloropicrin residues as high as 500 milligrams per
18 kilogram seven years after the plant was shut down.

19 We have no information about, you know, how much
20 was put into the soil and how -- or even how Maine soils
21 compare to California soils. But this does suggest that
22 in some cases you could have residues that persist.

23 PANEL MEMBER HAMMOND: Isn't there an issue also
24 though that, as you said earlier, that sunlight really
25 enhances the degradation?

1 DR. BEAUVAIS: Um-hmm.

2 PANEL MEMBER HAMMOND: And I would imagine
3 different layers of the soil are really -- would actually
4 have different half-lives.

5 DR. BEAUVAIS: Yeah. That makes sense, yes.

6 Yeah, that's a good point, that the --

7 CHAIRPERSON FROINES: Do you know that -- the
8 timeframe for the study that studies that reported
9 degradation half-life being 1 and 8 days, do you know
10 what -- how long they went?

11 In other words, were they eight days?

12 DR. BEAUVAIS: I don't know if those are -- the
13 studies are summarized in the document. I don't know
14 if --

15 CHAIRPERSON FROINES: Yeah, okay.

16 DR. BEAUVAIS: Yeah.

17 PANEL MEMBER LANDOLPH: You don't have to change
18 the slide. But I just had a quick question about the
19 previous slide on the illnesses, where you mentioned that
20 most of them were eye irritation, skin and systematic
21 symptoms. Were there any pulmonary symptoms that were
22 permanent and not reversible, any edema-like changes or --

23 DR. BEAUVAIS: I don't know.

24 PANEL MEMBER LANDOLPH: Okay. Thank you.

25 CHAIRPERSON FROINES: Well, Joe, that's an

1 important question. Because as we know from the methyl
2 iodide, the case studies show very, very long chronic
3 defects that were really quite devastating over a long
4 period of time. And so the question becomes, what's
5 the -- are there very longstanding effects?

6 PANEL MEMBER BLANC: Well, I think we should
7 return to this when we come to the Health Effects section,
8 because this is really a different --

9 CHAIRPERSON FROINES: That's why I was -- I was
10 waiting.

11 PANEL MEMBER BLANC: But on the Maine -- the case
12 report from Maine of the factory which OEHHA brought up in
13 their response. And I saw that the papers were cited in
14 this document. But insofar as they touched on the
15 laboratory analysis of the soil, can you point out where
16 in the document you also summarized this thing about the
17 people -- the illness and the soil samples and all of that
18 in the factory in Maine?

19 DR. BEAUVAIS: Okay. I didn't summarize anything
20 about illnesses with the factory in Maine. I just pointed
21 out as part of the environmental fate that there was the
22 single report.

23 PANEL MEMBER BLANC: And where is that?

24 DR. BEAUVAIS: It should be in Soil --
25 Persistence in Soil section.

1 PANEL MEMBER GLANTZ: It is. And I don't
2 remember where it does, but I remember reading it.

3 PANEL MEMBER BLANC: Okay. I read it in the
4 OEHHA and then I went back to try to find how you'd
5 handled it in the document. And I saw -- you don't have
6 to -- I mean just tell me later, just confirm to me later
7 that you were able to find it.

8 DR. BEAUVAIS: Okay.

9 CHAIRPERSON FROINES: Are you suggesting that if
10 it's not there, that she put something in?

11 PANEL MEMBER BLANC: Well, yeah, I thought it --
12 since OEHHA brought it up specifically it terms of that.
13 But what we can do is come back to the -- when we get to
14 the Health section, let's see if that case report made it
15 to the health part.

16 DR. BEAUVAIS: Okay.

17 PANEL MEMBER BLANC: Because the OEHHA -- or we
18 can clarify it with the OEHHA people. But they
19 specifically talked about symptomatic people prompting the
20 sampling and so forth.

21 DR. BEAUVAIS: Okay. One comment I also wanted
22 to make in response to Dr. Landolph's question about
23 illnesses, and just to note that in general the way that
24 the illness reporting system works is that we may not be
25 aware of long-term illnesses, then just to complete that

1 question.

2 PANEL MEMBER HAMMOND: I think this is important.
3 That's a good point and that's very important.

4 CHAIRPERSON FROINES: That's a very important
5 point.

6 --o0o--

7 DR. BEAUVAIS: Okay. And then also this is
8 another part of the finding that OEHHA had raised. And,
9 that is, the question of whether it could persist in
10 groundwater and perhaps travel a distance. And so here's
11 the information that we have about groundwater
12 contamination.

13 First of all, chloropicrin is on DPR's list of
14 pesticides that could potentially contaminate groundwater.
15 It's there because of its physical -- chemical physical
16 properties. It's highly water soluble and doesn't absorb
17 the soil very much, and fairly lengthy hydrolysis
18 according to the wind environmental monitoring folks who
19 are looking at this.

20 However, between 1986 and 2003 there were a total
21 of 1700 well water samples collected in 34 California
22 counties with no detection of chloropicrin.

23 So that's the information that we have out there.
24 That's not to say that question has certainly -- has been
25 answered, but this is what we know about it.

1 PANEL MEMBER HAMMOND: And of those 1700 wells,
2 how many of them were in the counties? Are these all in
3 the counties that actually use chloropicrin, or are they
4 just wells in the state.

5 DR. BEAUVAIS: They'd be wells in the state. And
6 so it's quite -- it's a range of counties it would
7 include.

8 PANEL MEMBER HAMMOND: So might it be to at least
9 make sure that some of the warmer states -- the counties
10 were used.

11 DR. BEAUVAIS: Yeah, as in -- you know, in
12 Monterey and in Kern, you know, absolutely, yes. And
13 actually, yeah, and I have looked enough to know that.

14 PANEL MEMBER HAMMOND: That's good to know.

15 CHAIRPERSON FROINES: Well, I missed -- I'm
16 sorry, I missed that.

17 PANEL MEMBER BLANC: That these wells include
18 some wells --

19 PANEL MEMBER HAMMOND: Well, because they've been
20 used in ten counties -- ten counties, is it?

21 DR. BEAUVAIS: Thirty-four counties.

22 PANEL MEMBER HAMMOND: Thirty-four counties in
23 the state.

24 DR. BEAUVAIS: Yeah, with the counties where
25 chloropicrin is used.

1 PANEL MEMBER HAMMOND: Chloropicrin is used in
2 how many counties?

3 DR. BEAUVAIS: Oh --

4 PANEL MEMBER HAMMOND: I thought it was only ten
5 counties. Am I wrong?

6 DR. BEAUVAIS: I don't know.

7 PANEL MEMBER BLANC: The bulk is used in --

8 PANEL MEMBER HAMMOND: Most of it's used in ten
9 counties?

10 DR. BEAUVAIS: Yeah, it's more than ten counties,
11 yes.

12 PANEL MEMBER HAMMOND: And so I just wanted to
13 make, you know --

14 DR. BEAUVAIS: There is an overlap, yes.

15 CHAIRPERSON FROINES: But the other question that
16 goes with that is, when the samples were collected in the
17 34 counties, what's the relationship between the use of
18 chloropicrin in those counties and the actual study
19 itself? Because obviously if you're not using
20 chloropicrin, you may not find something.

21 DR. BEAUVAIS: Yeah. Well, and of course it's an
22 issue where again our pesticide use reporting data are
23 very helpful, but they only go down to a one square mile
24 resolution.

25 PANEL MEMBER HAMMOND: But even if you got

1 that --

2 DR. BEAUVAIS: Yeah.

3 PANEL MEMBER HAMMOND: -- it would be useful.

4 Yeah, it might be worthwhile to see of those
5 reports which of them would you have predicted might have
6 had some.

7 DR. BEAUVAIS: Okay.

8 Okay. Anymore questions about that? Because I'm
9 moving on to talk about how exposure was calculated.

10 --o0o--

11 DR. BEAUVAIS: Okay. So I'm presenting estimates
12 for short-term durations, of 1 hour, 8 hours, and 24
13 hours. These are all upper bound estimates because we
14 want a realistic worst case for these. One hour because
15 chloropicrin-associated irritation occurs rapidly. We
16 look at 8 hours because of occupational bystanders. And
17 then 24 hours for residential bystanders.

18 And then for seasonal, annual, and lifetime
19 exposures, because in some agricultural areas we would
20 expect repeated exposures could potentially occur for
21 multiple fumigations if you live in an area where there
22 are a lot of strawberries grown, for example.

23 And in those cases we want typical exposures,
24 because of the longer intervals we wouldn't expect that
25 people would consistently have high-end exposures,

1 particularly when you look at, you know, how they -- the
2 way that the use reports are, you have a lot of small
3 applications happening.

4 PANEL MEMBER GLANTZ: One thing that wasn't clear
5 to me when I read the report, when you're looking at the
6 lifetime exposures, are you assuming that the person
7 spends their whole life living in the same place?

8 DR. BEAUVAIS: Yeah. Or in same conditions
9 anyway, yeah.

10 PANEL MEMBER GLANTZ: Okay.

11 --o0o--

12 DR. BEAUVAIS: So we have soil fumigation air
13 monitoring data provided by the California Air Resources
14 Board. And they did both ambient air and application site
15 monitoring. And those are all summarized in the document.

16 And then also we have Chloropicrin Manufacturers
17 Task Force data for soil fumigation. And these are from
18 the registrants. And those concentrations associated with
19 that monitoring turned out to be higher, and so for
20 bystander estimates are based on the registrant data.

21 PANEL MEMBER HAMMOND: That's new in the November
22 compared to the May document.

23 DR. BEAUVAIS: No, that's going to be structural
24 fumigation that's changed.

25 PANEL MEMBER HAMMOND: Oh, I'm sorry. So that's

1 not --

2 DR. BEAUVAIS: This is the same.

3 PANEL MEMBER HAMMOND: Okay.

4 DR. BEAUVAIS: And so for when the registrants
5 did their monitoring, they used both on-site and off-site
6 measurements. And we used on-site measurements, and I'll
7 be describing those here in a second. And those were what
8 were used to estimate exposure.

9 And we have two sets of studies conducted by the
10 registrants: First was conducted in the mid-nineties in
11 Arizona, Florida, and Washington. And then we have a more
12 recent data in response to DPR requests that were
13 conducted -- studies conducted in California 2003 and
14 2004.

15 --o0o--

16 DR. BEAUVAIS: They were all conducted the way
17 that these studies tend to be conducted for chloropicrin,
18 which is using the XAD-4 resin in the air samplers, with
19 the backup sorbent sections. And so we have a sense of
20 whether there is any sort of breakthrough happening.

21 CHAIRPERSON FROINES: Can I ask you a question?

22 DR. BEAUVAIS: Sure.

23 CHAIRPERSON FROINES: Go back to the last slide.

24 ARB did the top monitoring?

25 DR. BEAUVAIS: Yes.

1 CHAIRPERSON FROINES: -- of the ambient air
2 monitoring?

3 DR. BEAUVAIS: Yes.

4 CHAIRPERSON FROINES: And the Chloropicrin
5 Manufacturers Task Force did the second one. And what I
6 wanted to ask ARB was, did you have any data that was not
7 ambient monitoring?

8 DR. BEAUVAIS: They did. I can actually answer
9 that question.

10 CHAIRPERSON FROINES: Oh, okay.

11 DR. BEAUVAIS: They did. And that's summarized
12 in their as well. If they had applications, they did
13 monitoring associated with the applications, yes.

14 CHAIRPERSON FROINES: Did the application site
15 monitoring?

16 DR. BEAUVAIS: Yes, they did. For several
17 actually multiple applications.

18 CHAIRPERSON FROINES: So you can compare the
19 results from ARB with the results from the manufacturers?

20 DR. BEAUVAIS: Well, their estimates tended to be
21 lower.

22 CHAIRPERSON FROINES: Whose?

23 DR. BEAUVAIS: ARB's. Yeah, I'm using -- I'm
24 actually using the registrant data because they were
25 higher.

1 --o0o--

2 DR. BEAUVAIS: And so sampling locations. And I
3 talked again -- and I also want to emphasize that the
4 field sizes in these studies were between five and eight
5 acres. So those are smaller than what we need for our
6 exposure estimates.

7 So on-site in this -- this square here represents
8 a field. And the little numbered circles that run off it
9 represent off-site samplers at a series of distances.

10 And I also wish to note that none of those are at
11 the edge of field. And yet because we don't have buffer
12 zones for chloropicrin, bystanders could really be at
13 their edge of the field in some cases. And so we needed
14 to be able to estimate exposures there.

15 Secondly, on-site samplers are in the center of
16 the field. You have an on-site sampling mast that -- and
17 I'll show that -- I have a slide here to show that in a
18 minute.

19 --o0o--

20 DR. BEAUVAIS: Yeah, these are what the on-site
21 samplers look at. So it's a sampling mast with a series
22 of samplers on it at the center of the field. And they
23 look -- and from that, you can get changes in
24 concentration of air of chloropicrin and changes in
25 temperature, wind speed. And these changes with height

1 are then used to calculate the flux of chloropicrin from
2 the soil surface, where flux is the amount of chemical
3 emitted per unit area in time. And that can then be used
4 to calculate off-site concentrations. And we do that
5 for -- as I noted, we need to be able to get to
6 concentrations for applications that are larger than the
7 ones that were monitored and for people that are closer
8 than the samplers were and under different weather
9 conditions.

10 --o0o--

11 DR. BEAUVAIS: And so at this point I'm going to
12 turn this over to Dr. Barry, and she's going to describe
13 how she did this -- what she did and how.

14 DR. BARRY: Good morning. I think I might need
15 the arrows since I don't have a pointer.

16 DR. BEAUVAIS: Haven't figured out how to do that
17 without turning the slide.

18 DR. BARRY: Oh. Well, okay, I'll be careful
19 then.

20 Okay. So actually the question about comparing
21 the ARB and the chloropicrin task force data could be
22 addressed as I start with this.

23 One of the things we're going to talk about is
24 the fact that we used air dispersion modeling to produce
25 our estimates, our air concentration estimates for the

1 exposure appraisal.

2 The best way to compare studies is by having flux
3 estimates from the different applications and the
4 different studies. For the ARB studies, there wasn't
5 enough data to calculate flux. So it's difficult to
6 calculate just straight air concentrations like that have
7 measured just off-site. You need actual volatility to be
8 able to compare the different methods and the different
9 sites and things like that.

10 So that's why we concentrate on the chloropicrin
11 task force data, is because it's going to allow us to have
12 a flux estimate.

13 Okay. So we used air dispersion modeling to
14 estimate those air concentrations that are used later in
15 the exposure appraisal. And air dispersion models use the
16 emission information from one or more sources to estimate
17 chemical air concentrations. We use specifically a
18 Gaussian plume model. And Gaussian plume models have
19 inputs of:

20 Field volatility, which we've talked a little bit
21 about. It's often called the flux.

22 The dimensions of the source, the orientation of
23 the treated field, the distance from the field that the
24 receptors are interested in are, and whether you've got
25 urban or rural dispersion patterns. And in our case,

1 we're using rural dispersion patterns because we're in
2 agricultural areas. And that does produce higher air
3 concentrations. There's not as much vertical mixing with
4 rural dispersion.

5 They also use meteorological inputs, temperature,
6 wind speed, and atmospheric stability.

7 And we're using the Gaussian plume model in
8 what's called screening mode, as Sheryl mentioned. And in
9 that case, the model is used to predict reasonable
10 worst-case ground level or breathing air concentrations
11 that may occur off-site by examining the full range of
12 meteorological conditions across all stability classes and
13 wind speeds that might occur. And then we settle on the
14 set of conditions that generate a worst-case -- reasonable
15 worst case air concentration.

16 --o0o--

17 DR. BARRY: Okay. So to give you an idea of the
18 Gaussian plume form, this is a bird's-eye view of modeling
19 that was done actually on one of those incidents that we
20 talked about earlier on the illness slide. This was in
21 Mettler, California, in 2003.

22 And this shows how a plume will originate from a
23 source. And the source is the rectangle that's sort of in
24 the center of those isopleths. The bottom quarter
25 rectangle or half rectangle of that area was applied. And

1 the plume will move away from the field as it's affected
2 by wind speed and direction, and the volatility of the
3 material of course.

4 Well, this incident occurred over two nights.
5 This is the first night. That represents about 18 acres
6 there that you see in the field. And the wind direction
7 is moving from east to west. And it's narrow because it's
8 going along the long access of the source. So you can see
9 that the plume dimension crosswise is affected by the
10 dimensions of the source also.

11 And these isopleths represent your typical
12 Gaussian form.

13 PANEL MEMBER GLANTZ: What are the numbers?

14 DR. BARRY: Oh, I'm sorry. Those are -- that's
15 ppb.

16 PANEL MEMBER GLANTZ: And then are the red dots
17 and the blue dots anything in particular?

18 DR. BARRY: Yes. The blue dots are an apartment
19 complex that was affected the first night. Most of that
20 complex I believe was evacuated and people had eye
21 irritation and things like that.

22 And you can see that the model is predicting
23 under those meteorological conditions, which were highly
24 stable and low wind speed. It was just after sunset.
25 We're talking 150 to 200 ppb, 100 ppb, right about in the

1 because the dimensions of the field have changed.

2 The met conditions are pretty much the same.

3 We've also got some changing in the flux. The
4 flux will be lower on the first half of the source than
5 the second half because the first half was applied the
6 night before.

7 PANEL MEMBER HAMMOND: Could you go back a slide
8 please?

9 DR. BARRY: Sure.

10 PANEL MEMBER HAMMOND: So your estimates are that
11 the concentrations that first night are around 250.

12 DR. BARRY: Yeah, be 200 -- 200, 250. Well,
13 right in the neighborhood is -- yeah 200, 250, uh-huh.

14 PANEL MEMBER HAMMOND: And then going forward,
15 they're really about the same --

16 DR. BARRY: About the same, uh-huh.

17 PANEL MEMBER HAMMOND: -- about 200, within
18 the -- the estimates are about the same.

19 DR. BARRY: And same symptoms, eye irritation,
20 you know, things like that. I mean there's a range of
21 symptoms. And actually we have a peer-reviewed general
22 article that covers this incident in Journal of
23 Agri-medicine, I believe is what it is.

24 I mean the case -- the case reports are all
25 reviewed in that Journal article.

1 PANEL MEMBER GLANTZ: How long after application
2 was this?

3 DR. BARRY: Several hours. You know, you apply
4 it during the day. And if it's occurred -- they tend to
5 occur either early in the morning or at sunset, because
6 that's when you get stable atmospheric conditions and low
7 wind speed. And a little bit of flux goes a long way
8 under those conditions, a little bit of material.

9 Okay. So you also saw the change in wind
10 direction.

11 So the first night nothing happened to the
12 neighborhood on the bottom, you know, second night nothing
13 happened in the neighborhood to the west.

14 --o0o--

15 DR. BARRY: All right. So DPR uses the ISCST3
16 model. This is an EPA Gaussian plume model.

17 The features of the ISC model are that, first of
18 all, it's considered to be steady state or it's assumed --
19 it has to be steady state, which means the conditions of
20 the meteorological variables do not change within an
21 hour -- or are assumed to not change. So if you have a
22 wind speed of one meter per second, you assume it's one
23 meter per second for the entire hour, that you're not
24 getting variations during that hour.

25 The Gaussian plume form, the chemical

1 concentrations are highest at the center and then they
2 taper into a bell-shaped curve, both crosswind and in a
3 vertical profile. So you can see -- and I'm sorry I don't
4 have a pointer. But the crosswind and the vertical
5 direction are both bell shaped.

6 And then we use the air concentrations that are
7 along the plume center line, which are the highest.

8 Now, this figure shows that it's a point source.
9 But the same futures hold for area sources, and we used
10 area sources to represent our agricultural fields.

11 A suggestion has been made that we should change
12 from ISC to what's called Air Mod, which is a
13 next-generation Gaussian plume model, instead of using ISC
14 for our modeling. But the improvements in Air Mod only
15 really apply to a point source, which is like a smoke
16 stack's there. And for soil fumigants we're using area
17 sources. So there's no difference between using those two
18 models. So we've elected to stay with ISC at this point.

19 PANEL MEMBER BYUS: I have just a question.

20 DR. BARRY: Yes.

21 PANEL MEMBER BYUS: So you're saying it's a point
22 source of -- you're saying it must be a point source up
23 off the ground then to get that vertical component, the
24 largest concentration --

25 DR. BARRY: Yes.

1 PANEL MEMBER BYUS: -- up off the ground?

2 DR. BARRY: Yeah, it --

3 PANEL MEMBER BYUS: But that isn't what happens,
4 is it? I mean in a sense isn't it a -- I mean doesn't it
5 leak from the ground level up?

6 DR. BARRY: That's a very good question. And
7 what happens with a ground source is -- where is it? Am I
8 doing this wrong?

9 Oh, okay. Sorry.

10 With a ground source you're basically getting --
11 you're getting half, you're getting -- how the model --
12 and that's a very good question. How the model operates
13 is it's a virtual reflection basically.

14 PANEL MEMBER BYUS: All right. That's cool.

15 DR. BARRY: Yes. But it is a Gaussian form.
16 It's just cut in half if it's originating from the ground.

17 Yeah, very good.

18 PANEL MEMBER BLANC: And then, just in -- you're
19 talking about your choice of models. But this doesn't
20 touch on the perfume yet, but you're going to get to
21 that --

22 DR. BARRY: That's a good question too, and
23 I'll -- I'll address that when I get to the screening mode
24 aspect, because that actually goes to that question.

25 PANEL MEMBER BLANC: Okay.

1 DR. BARRY: Yeah. Good. Thank you.

2 So we're ready to move on?

3 --o0o--

4 DR. BARRY: Okay. So as I said, we're using the
5 ISCST3 model. This is the primary model that's been used
6 by DPR since 1992. We used it to develop all of our
7 methyl bromide buffer zones and other mitigation measures
8 that we developed. It was -- we were put through a
9 National Academy of Sciences peer review on that.

10 I did mention that we had a peer-reviewed article
11 on that incident. We've also got -- we've got five
12 articles actually that have been published using ISC and
13 screening mode methods on covering metam sodium and
14 chloropicrin incidents. And they've been published in
15 public health and toxicology journals.

16 Now, what I've shown here is a simplified form of
17 the model, just so that we can get down to the fact that
18 this model is really two main parts. The first part is
19 the F value here, which is flux or the volatilization.
20 And then the second part is the more complicated function
21 that includes meteorology and also where you are in
22 respect to the source. So how far downwind are you? How
23 far off the center line are you? How high off the ground
24 are you? And those two things together get multiplied to
25 produce the air concentration.

1 So all other things held constant. So if this M
2 is held constant, air concentrations are directly
3 proportional to the flux, which makes it very convenient
4 for comparisons of different application methods and
5 mitigation measures and things like that.

6 --o0o--

7 DR. BARRY: Okay. So we are using screening
8 methods. Sheryl mentioned that. And we use this to
9 produce reasonable worst-case air concentration estimates.

10 The U.S. EPA guidelines for screening analysis
11 does state that there is a relatively large degree of
12 conservatism that's incorporated into a screening
13 procedure. And we use that to provide reasonable
14 assurance that we are getting maximum concentrations so
15 they will not be underestimated. And that's the real
16 reason that we've chosen screening methods at this point.

17 When we use screening methods, the averaging time
18 of the air concentration that's produced is directly
19 related to the averaging time it produced the flux. So,
20 for example, you'll see later that for chloropicrin, most
21 of the task force sampling air was with six hours. So our
22 air concentration estimate's going to be a six-hour
23 estimate in that case.

24 The meteorological data in screening mode is
25 considered to be a predominant condition for that

1 averaging time. The thing to really understand is that
2 even though these are screening method -- screening
3 meteorological conditions, they can and do occur in the
4 environment. And in fact, our one-hour screening met
5 condition is one meter per second in F stability. Well,
6 one meter per second in F stability is what was the
7 conditions on that incident that I showed you, that figure
8 that I showed you. So it does occur.

9 The other --

10 PANEL MEMBER GLANTZ: Can I ask a dumb question.

11 What -- could you just briefly describe what
12 screening mode is and what the alternative to screening
13 mode was?

14 DR. BARRY: Screening mode means that we're
15 looking at worst case. So in other words, when you're
16 doing air modeling, you're going to get the highest air
17 concentrations for a given flux under very stable and low
18 wind conditions if you're doing a ground level source.

19 So we are only looking at that condition. We're
20 not generating a distribution. And in effect, I'll talk
21 about perfume in a moment and the probabilistic model.

22 PANEL MEMBER GLANTZ: Talk about what?

23 DR. BARRY: The perfume model, which is a
24 probabilistic model. Because that is -- you're asking a
25 very good question actually that we've had discussions

1 about.

2 So let me cover the wind direction. And then
3 I've got --

4 PANEL MEMBER GLANTZ: No, that's fine.

5 DR. BARRY: Yeah, and then I've got a discussion
6 about -- I'm going to actually talk about exactly what
7 you're asking.

8 PANEL MEMBER GLANTZ: Okay. Well, I'm glad it
9 was a good question.

10 (Laughter.)

11 DR. BARRY: Well, the thing is is that it's
12 also --

13 PANEL MEMBER BYUS: I still think it was dumb.

14 (Laughter.)

15 DR. BARRY: It's also related to the wind
16 direction question. So when we're doing screening, the
17 wind direction is interpreted as a predominant direction
18 of an averaging time.

19 And this also gets to your question. Because one
20 of the criticisms we've had of our 24-hour screening
21 condition is that the wind direction can't possibly go one
22 direction for 24 hours. That's not what we're assuming.
23 What we're assuming is, and what is really embedded in
24 that screening 24-hour mode, we're seeing 24-hour flux.
25 That's what I said, the averaging time is relative to the

1 averaging time of the flux. So if it's 24-hour flux,
2 you've got incorporated in there all those variations that
3 occurred in the measurements over 24 hours.

4 When you use that wind direction and that wind
5 speed, what you're assuming is you've averaged the
6 meteorological condition over that period too. So if it's
7 270 degrees, it means on average for 24 hours it's going
8 to go to 270 degrees.

9 So now, that's screening. So you're only using
10 the highest flux and what you consider to be the worst
11 conditions.

12 The other method which is the perfume model,
13 which you might have seen in some of the comments that
14 were associated with our modeling, it uses the ISCST
15 model. It's the same model produced the air
16 concentrations. But what happens is it uses five years of
17 weather data to produce distributions of air
18 concentrations. And then you have to make a cut of what
19 percentile do I want.

20 Well, we're basically at the upper percentile.
21 We have chosen in advance that we're going to only -- that
22 we're looking at, you know, 99.9 or whatever, the upper
23 bound.

24 Although, for the one hour, one meter per second
25 in estimability occurs very frequently in the environment.

1 So we're talking -- we're not just talking about one point
2 at the top of the percentile. We're talking about that
3 little straight line that occurs right at the top, you
4 know, if you line up all your weather conditions.

5 So, at this point we're interested in estimating
6 that reasonable worst case. The Department has chosen to
7 do that, and that's why we're going with this.

8 But at some point later, you know, we may have
9 examined that probabilistic method. And that's the
10 alternative is using the probabilistic method.

11 PANEL MEMBER BLANC: And then how does that apply
12 when you start to get to the seasonal and the lifetime?
13 Because then it seems that a probabilistic meteorologic
14 calculation might make more sense or -- because you don't
15 have lifetime flux data. You're extrapolating out from
16 the flux data that you have.

17 DR. BARRY: We have a model that we've looked at
18 in-house called SOFEA that can produce -- what you end up
19 doing is producing, say, 70 years of agricultural
20 applications, then looking at concentrations, and in
21 trying to estimate chronic exposures. And that would be
22 something that may be looked at in the future for
23 chloropicrin.

24 But right now the way we're dealing with that is
25 with the peak-to-mean adjustments that I'll talk about in

1 a little bit. Because you can -- you can -- I actually
2 don't want to get ahead of myself on that. I've got a
3 slide on it.

4 PANEL MEMBER BLANC: We'll wait.

5 DR. BARRY: But we are doing a screening mode on
6 that too. It is a possibility to do that without using
7 probabilistic methods.

8 PANEL MEMBER BLANC: I see.

9 DR. BARRY: But there are positive features to
10 use in the probabilistic method certainly also. At this
11 point we're just still doing the screening method.

12 So let me get to those slides, and I think it
13 will make more sense.

14 --o0o--

15 DR. BARRY: Okay. So to estimate a reasonable
16 worst case air concentrations, we need to have a flux,
17 because that's one of the main inputs in the model. So,
18 in order to get that, we have flux profiles that are
19 generated from field studies. And we mentioned we're only
20 using Chloropicrin Manufacturer Task Force studies to look
21 at the exposure appraisal concentrations. And the reason
22 is we have what are called direct flux estimates from
23 these studies. What that means is there's a center mass
24 in the field. Sheryl showed you that picture. And it
25 allows you to actually measure the rate at which the

1 chloropicrin is coming off the field. And then you can
2 put that into the model -- the ISC model.

3 This graph shows a flux profile. So, for
4 example, during the application period the chloropicrin is
5 coming off of that six-hour period at approximately 40
6 micrograms per meter squared per second for six hours. So
7 you can calculate a mass from that too.

8 And then here you've got the sampling interval
9 after the application was finished - 180 micrograms per
10 meter squared per second. And then so on.

11 And this is the first 60 hours or so of the
12 application. All of these are equal interval. They're
13 all six hours.

14 You don't have to have equal sampling intervals.
15 It's just the case in this particular study.

16 PANEL MEMBER BYUS: So I have another dumb
17 question.

18 So then the flux goes up because it's diffusing
19 closer to the soil? Why is the flux increasing?

20 DR. BARRY: That's a good question.

21 (Laughter.)

22 PANEL MEMBER BYUS: That's why I'm asking it.

23 CHAIRPERSON FROINES: I'm glad you -- the DPR
24 folks keep telling us that our questions are good. I
25 would rather not get sued again for questions that are

1 dumb.

2 DR. BARRY: It's actually the \$64,000 question.

3 (Laughter.)

4 DR. BARRY: There is a lot of research that has
5 gone on to try to quantify exactly what causes a flux to
6 go up and, as you see there, that peak or why it bounces
7 around the way it does in this figure or why -- I'll show
8 the next slide where there's multiple field studies and
9 the flux profiles all look a little different.

10 There are a number of different factors. It
11 could be the soil type, the temperature, the depths of
12 injection, the meteorological conditions, the tarp or no
13 tarp.

14 But what is fortuitous for us is with methyl
15 bromide we have a very large database on flux estimates,
16 and application methods tend to be reasonably similar in
17 their flux profile. So we don't -- we haven't done the
18 research in separating all the different factors. And we
19 don't really have a model yet that will like model how
20 flux will change if you change the depth or whatever.
21 That's coming.

22 But there are a whole host of factors that could
23 affect the flux. But we do see the same patterns over and
24 over again. For example, this peak is not unusual. That
25 occurs across fumigants with an untarped application. You

1 put it in the ground, it tends to come out rapidly. If
2 there's a tarp, it might be stopped -- you know, slowed a
3 little bit. With drip irrigations there tends to be a
4 peak right after they flush the lines. So, you know --
5 and it's consistent across fumigants.

6 But there's a lot of research going on to answer
7 that question.

8 PANEL MEMBER GLANTZ: Well, could it also be
9 related to the time of day that you did the application?

10 DR. BARRY: Yes.

11 PANEL MEMBER GLANTZ: Because the day -- if you
12 applied it in the morning and then it warms up, that could
13 maybe account for the peak.

14 PANEL MEMBER BLANC: Well, there are -- I mean
15 just to clarify, at hour 4 they're still in the process of
16 applying. So this isn't time -- this time doesn't start
17 at the completion of the application. So if they have a
18 ten-hour application, this is really -- that peak is at
19 the point at which they've finished applying.

20 PANEL MEMBER GLANTZ: Oh, okay.

21 PANEL MEMBER HAMMOND: It's almost --

22 PANEL MEMBER BYUS: Hours post-application.

23 DR. BARRY: Yeah, these are the midpoint. So
24 this is the midpoint -- this is the midpoint of the
25 interval -- time zero is the beginning of the application.

1 So this does include --

2 PANEL MEMBER HAMMOND: So it's really the hours
3 since the start of application.

4 DR. BARRY: Well, yeah.

5 PANEL MEMBER HAMMOND: Well, I mean it's an
6 important difference.

7 DR. BARRY: This is zero. This is the
8 beginning --

9 PANEL MEMBER HAMMOND: Zero means the
10 beginning --

11 DR. BARRY: -- the beginning of the application.
12 So this includes the application period, yes.

13 PANEL MEMBER HAMMOND: And the application goes
14 for eight hours?

15 DR. BARRY: No. It was about --

16 PANEL MEMBER HAMMOND: Well, a particular one --

17 DR. BARRY: It was only a couple of hours. And
18 this is a six-hour interval. So there's like a little --
19 a short period of time after the application that this is
20 still being sampled.

21 PANEL MEMBER HAMMOND: That sample started at
22 zero?

23 DR. BARRY: Yes.

24 PANEL MEMBER HAMMOND: -- time zero?

25 DR. BARRY: This captured the entire application.

1 And that is -- with the field studies --

2 PANEL MEMBER HAMMOND: Did it stop when the
3 application stopped?

4 DR. BARRY: Yes.

5 PANEL MEMBER HAMMOND: The application went for
6 six hours?

7 DR. BARRY: Well, yeah, give or take, yes.
8 Within minutes, yes.

9 PANEL MEMBER BLANC: So does this figure appear
10 in the document as such?

11 DR. BARRY: No, I believe it's in my -- only in
12 my memos.

13 PANEL MEMBER BLANC: Okay. Because I would say
14 if it's in the document, you should change the label there
15 to clarify.

16 DR. BARRY: Okay.

17 PANEL MEMBER BLANC: I mean I would look at it
18 in -- I mean maybe it's over-simplistic, but I kind of
19 look at it if you'd measured when is the highest exposure
20 at the side of your automobile to gasoline as you filled
21 the tank? Probably the flux increases as you get closer
22 to, you know, the filling of the tank. And I think with
23 this too probably is they put more and more stuff in the
24 soil. At first there's very little, it's fluxing off.
25 And then it --

1 PANEL MEMBER HAMMOND: I think the analogy's not
2 a good one. I think it's a poor analogy. But it does
3 make sense to me -- it does make sense to me that what
4 we're seeing is, given that the application is happening
5 during the graph there --

6 DR. BARRY: Yes.

7 PANEL MEMBER HAMMOND: -- is that there's more
8 surface area that has gotten more material there.

9 PANEL MEMBER BYUS: Yeah, that makes more sense
10 to me.

11 PANEL MEMBER HAMMOND: But it's the volatile part
12 of the tank that matters, not the liquid.

13 DR. BARRY: The peak does tend to occur after the
14 application's finished, depending on the application
15 method. I think only sprinkler metam sodium is the peak
16 during the application. Usually it's delayed. Usually
17 it's delayed by several hours.

18 PANEL MEMBER HAMMOND: I wonder if there are
19 things that happen, things one does at the end of an
20 application that would encourage that. I don't know.

21 DR. BARRY: Yeah. Again, you know, we're looking
22 at modeling flux, but it's not an easy question.

23 PANEL MEMBER BLANC: Okay.

24 DR. BARRY: We are in the process of doing that
25 though, I will tell you that.

1 --o0o--

2 DR. BARRY: Okay. So that was one flux study,
3 and that is -- okay. Could you tell me where the red dot
4 is? Why am I not seeing this?

5 Okay. Well, I'll just -- I'm going to have to
6 use this.

7 The upper left-hand graph is the one I just
8 showed you. I have to explain the axes here, because just
9 the way this software produces this axis, it doesn't label
10 on the sides and bottoms.

11 The side -- the Y is flux and the X is hours.
12 And it's hours -- zero is the beginning of the
13 application. Okay.

14 So I have normalized all four of these to the
15 maximum application rate that's allowed on the label,
16 as Sheryl -- and what Sheryl used in her exposure
17 appraisal. So they all -- you can look across graphs.
18 That on top is a little bit difficult because it has half
19 the allowed application rate. But you can look across and
20 see how the flux profiles vary.

21 And these are different methods, and that's why.

22 And a broadcast/untarp method produced the
23 highest six-hour and highest one-hour flux estimates in
24 the air concentrations. And you can see that that would
25 be the case because of that high point there.

1 The bed/tarp, which is the lower left-hand,
2 produced the highest 24-hour flux and the highest 24-hour
3 air concentration. The reason is you're averaging four of
4 those dots, because those are six-hour averages at that
5 point. Starts out six hour and then goes to 12 hour,
6 which is why they get closer together.

7 PANEL MEMBER GLANTZ: So is the tarp put down and
8 then it's injected through the tarp?

9 No, it's injected --

10 Or do they inject it and then put the tarp down?

11 DR. BARRY: Yeah, the tarp gets rolled as they're
12 injecting, behind it.

13 PANEL MEMBER GLANTZ: What's the difference
14 between broadcast and bed?

15 DR. BARRY: The beds are formed -- either
16 pre-formed or they're formed as you go. And they can be
17 36 inches or so or more wide. And then there's a furrow
18 in between, and the furrow is not tarped.

19 PANEL MEMBER GLANTZ: Okay.

20 DR. BARRY: And we see the same pattern with
21 methyl bromide, where the bed tarp tends to look just like
22 this because it comes out either -- in the furrows. Or
23 another possibility is that the tarp is stretched and it
24 comes out the tarp differently, that the permeability is
25 changed. So the broadcast is just flat.

1 PANEL MEMBER BLANC: Then does the broadcast have
2 the largest area under the curve altogether?

3 DR. BARRY: I can tell that you actually.

4 Okay. The mass loss, because that would be --
5 you can integrate -- you know, multiply by time and just
6 integrate and get the mass loss. So the broadcast/tarp
7 has 63 percent, the broadcast/untarp has 62 percent, the
8 bed/untarp is 61, and the bed/tarp is 68.

9 PANEL MEMBER GLANTZ: So they're all about the
10 same.

11 DR. BARRY: Yeah.

12 PANEL MEMBER BLANC: Interesting.

13 DR. BARRY: So, anyway, the way -- so this gives
14 you a sense of how the flux affects later your estimates.
15 And the reason that the broadcast/untarp is our driving
16 variable for the short exposures is because of that high
17 peak there. That's a six-hour average. So we're using
18 that number.

19 And then the 24 hour is an average of four of the
20 highest dots down there in the bed/tarp.

21 --o0o--

22 DR. BARRY: Okay. I had said that our air
23 concentrations for screening mode are dependent on the
24 averaging time in the flux. And we only have six-hour
25 estimates. We need a one-hour concentrations for

1 chloropicrin. So we're going to use what's called a
2 peak-to-mean estimation. And the reason that we can do
3 that is because the mean concentration of any water, or
4 air for that matter, that's measured is a time-weighted
5 average and it's a result of many short-term peak
6 concentrations. And you can calculate a definable
7 relationship between peaks and means. And you can
8 actually do a first principles relationship but it's very
9 complicated.

10 You can also do empirical relationship. And in
11 1968, Hino looked at empirical data and found that
12 definable relationship for air concentrations with the
13 sampling time ratios between 10 and 6 hours could be
14 expressed by the ratio of the sampling time raised to the
15 .5 power. So that's what we used in the Department to do
16 our peak-to-mean estimates based on that paper.

17 --o0o--

18 DR. BARRY: So here's a peak-to-mean equation.
19 So one-hour concentrations were estimated using this
20 equation. TP is one hour, TM is six hours. There's the
21 minus 1/2, which is the 1/2 power -- negative 1/2 power
22 law in this case. And what means is our six-hour
23 concentrations are multiplied by a factor of 2.24 to get a
24 one-hour concentration.

25 I think that's the end of me.

1 --o0o--

2 DR. BEAUVAIS: Okay. If that's all clear, I'll
3 present now the exposure estimates. And these based on
4 the modeled estimates that Terri provided.

5 First of all, we have -- these are bystanders to
6 soil fumigation. And I'll talk about the short-term
7 exposures first.

8 These again are the highest model concentration
9 for each interval. Terri provided me exposure estimates
10 for each of the application methods. And what I'm
11 reporting here is, out of all of those, which were the
12 highest?

13 And the assumptions again that went into these
14 were 40 acres and the maximum allowed application rate on
15 the current product. So we assumed that concentration is
16 proportional to application rate. So when the -- I did an
17 adjustment for that from the application rate that was
18 used in the studies.

19 So we have, for one hour the concentration is
20 110 --

21 PANEL MEMBER BYUS: I was going to ask you that
22 on the other slide where you did have the one bit of
23 experimental data where it was half the application rate.
24 But it's consistent, or there is direct relationship?

25 DR. BEAUVAIS: Approximately, yeah.

1 PANEL MEMBER BYUS: Experimentally is what I'm --
2 I mean that was the --

3 DR. BEAUVAIS: I have to turn to the --

4 PANEL MEMBER BYUS: Experimentally.

5 DR. BARRY: You mean measured -- you mean like an
6 experiment --

7 PANEL MEMBER BYUS: -- those curves and a few --
8 I mean it was consistent. You would have predicted.

9 DR. BEAUVAIS: Do we have --

10 DR. BARRY: If they changed -- okay. You're
11 asking the relationship between application rate in flux
12 or between flux and --

13 DR. BEAUVAIS: Application rate in flux.

14 PANEL MEMBER BYUS: Well, right. Well, rate
15 over time.

16 DR. BARRY: Okay. I need --

17 PANEL MEMBER BYUS: But she just said -- I mean
18 you're trying to get the --

19 DR. BEAUVAIS: I've adjusted for application
20 rate. And then he's wanting to know if there's data to
21 support that.

22 DR. BARRY: We haven't done a study on that.

23 PANEL MEMBER BYUS: You took the 500 appli --
24 most of the data was at 500, so that's probably what you
25 used to do your modeling.

1 DR. BARRY: Oh, no, no. The data was at 80
2 pounds, 171 pounds.

3 PANEL MEMBER BYUS: Okay.

4 DR. BARRY: Yes, yes, yes, yes. And we do make
5 the assumption -- well, we know that flux is -- air
6 concentrations are directly proportional to flux. And we
7 do make the assumption that flux is proportional to
8 application rate. And that's the general assumption
9 that's made in these studies. We have not experimentally
10 demonstrated that ourselves.

11 DR. BEAUVAIS: So I'm reporting concentrations
12 both in micrograms per cubic meter and parts per billion
13 because the concentration measurements were all reported
14 in micrograms per cubic meter. And then when we turn over
15 to the toxicity data, those are all in parts per billion.
16 So just to make that conversion. Once Carolyn gets up
17 here and starts talking, she'll be talking in ppb rather
18 than micrograms per cubic meter.

19 So the tables in the exposure assessment present
20 both.

21 So 1 hour is 110,000 micrograms per cubic meter,
22 8 hours is 44,000, and 24 hours is 7,400. Those are the
23 exposure estimates, the screening estimates for bystanders
24 to soil fumigation.

25 --o0o--

1 DR. BEAUVAIS: And then for context I'm also --
2 remember, I showed you the use -- those figures that
3 showed that, you know, we were roughly at 80th percentile
4 for the 40 acres and above the 99th percentile for the 500
5 pounds per acre application rate. So this is a 50th
6 percentile exposure, again at the field edge. So that in
7 this case, basically this shows us what happens if we have
8 a smaller application at a lower rate.

9 And so these -- and there are a series tables
10 back in Appendix 3 in the document that look at variations
11 of this and, you know, different distances and such as
12 well.

13 And as you can see, if you decrease the
14 application rate and the application size, our
15 concentration estimates go down quite a bit.

16 --o0o--

17 DR. BEAUVAIS: And then this is -- assuming these
18 first two tables were looking at the field edge, this is
19 looking half a mile away. So the buffer zones that EPA is
20 proposing range from 25 feet to half a mile. And so if
21 you were to go as far as you could go with the data that
22 we have and assuming these 50th percentile applications,
23 again the concentrations decrease quite a bit.

24 PANEL MEMBER BLANC: But they're still not
25 trivial.

1 DR. BEAUVAIS: They're still -- yeah, they're
2 still up there.

3 PANEL MEMBER GLANTZ: I mean 25 feet just seems
4 sort of silly.

5 DR. BEAUVAIS: Well, the 25 feet were -- those
6 are based on the size of the application and the amount of
7 chloropicrin used. So those would be like orchard
8 applications where you're using a hand wand into an
9 individual hole. That's where you'd be looking at 25
10 feet.

11 PANEL MEMBER HAMMOND: And that could be worker
12 bystander, right?

13 DR. BEAUVAIS: They could be worker bystander
14 or --

15 PANEL MEMBER HAMMOND: But that 25 feet makes
16 sense for worker bystander?

17 DR. BEAUVAIS: Yeah. Well, when EPA is talking
18 about a 25-foot buffer zone requirement, those are very
19 small applications.

20 PANEL MEMBER HAMMOND: Oh, that is for the
21 community?

22 DR. BEAUVAIS: Yeah, it is. Basically they're
23 requiring that you be 25 feet away from anyone, dwellings
24 and such as well.

25 PANEL MEMBER BLANC: No. But I do think that the

1 salient feature here, for example, is that even at half a
2 mile away and even at the 50th percentile application, you
3 have 1.1 part per million one-hour exposure that you're
4 modeling. So these are substantive exposures even --

5 CHAIRPERSON FROINES: I'm sorry. Paul, you said
6 1.1 --

7 PANEL MEMBER BLANC: -- part per million.

8 PANEL MEMBER HAMMOND: -- ppm, yeah, part per
9 million.

10 PANEL MEMBER GLANTZ: If you take 1100 and divide
11 by a thousand.

12 (Laughter.)

13 --o0o--

14 DR. BEAUVAIS: Okay. And, again, just to talk
15 about the uncertainties associated with this, in which
16 are -- then we have the appraisal section at the back of
17 the document where we talk about those and just a few of
18 the key assumptions, that we assume that 40 acres treated
19 per day is a practical maximum. We do note that if more
20 than one rig is used, you could treat more acres. And we
21 don't have a sense of how often that happens. And as I
22 showed you in that figure, the PUR data suggests that 40
23 acres per day is about 80 to 85th percentile of all
24 application. But that's also recognizing that some of
25 those applications probably span multiple days.

1 And also, adjustments for application rate assume
2 that flux in concentrations are proportional to
3 application rate. And I also -- just sort of a caveat
4 here, that all of our adjusted concentrations are outside
5 the measured range. So, anyhow, anytime you're doing
6 that, that adds some uncertainty as well.

7 --o0o--

8 DR. BEAUVAIS: Okay. And that was the short-term
9 exposure estimates. And now I'm going to talk about the
10 seasonal, annual, and lifetime exposures.

11 And those monitoring in several of these studies
12 span as long as two weeks. And that allowed us -- so we
13 had a two-week data set to work with. And what Terri did
14 there was she averaged a 24-hour flux calculated over
15 that. So it was a moving 24-hour average over that
16 two-week period. And because wind direction is not
17 constant over these longer intervals, which is what you
18 were talking about just a little bit ago here as part of
19 the discussion here, concentrations were adjusted sort of
20 in the opposite direction, if you will, but using a time
21 scaling factor that's based on that peak-to-mean theory.
22 So whereas we we're going from six hours to one hour, we
23 increase the concentration; when we're stretching the
24 longer intervals, we decrease the concentration using a
25 factor like that.

1 And when we're talking about these longer
2 Appli -- or these longer intervals concentrations,
3 exposures are not adjusted for maximum application rate.
4 So we're not assuming that somebody's consistently next to
5 500 pounds AI per acre, which again fits with what we see
6 in the pesticide use report data.

7 PANEL MEMBER BYUS: Say that one more time.

8 DR. BEAUVAIS: Okay. For the short-term
9 exposures we --

10 PANEL MEMBER BYUS: Just the last part. I mean
11 the -- obviously the people in the apartment were near
12 the --

13 PANEL MEMBER HAMMOND: But these are the
14 seasonal, annual, and lifetime. I think that's the --

15 PANEL MEMBER BYUS: Okay.

16 DR. BEAUVAIS: Yeah. And so what I'm saying is
17 that unlike the short-term exposures, these -- we're not
18 adjusting these upward, we're not assuming that somebody's
19 consistently against a high-end application. They could
20 be against --

21 PANEL MEMBER BYUS: Theoretically someone could
22 be in that apartment building for two weeks. But then
23 you're looking at -- Okay. But you're using the two-week
24 data to go seasonally.

25 DR. BEAUVAIS: Exactly, exactly.

1 PANEL MEMBER BYUS: I'm sorry.

2 DR. BEAUVAIS: Yeah, the two --

3 PANEL MEMBER BYUS: Right. Very good, very good.
4 I didn't listen carefully enough.

5 DR. BEAUVAIS: Sorry.

6 Okay. And then the length of the season is
7 approximated using PUR data from the top four counties.
8 And I'll show you that now.

9 --o0o--

10 DR. BEAUVAIS: These are the top four counties
11 where chloropicrin is used. These are Monterey, Ventura,
12 Santa Barbara, and Santa Cruz counties. And the idea
13 behind this is that you could have people that move up and
14 down, worker bystanders, for example, strawberry
15 grower -- I'm sorry -- strawberry pickers or people
16 harvesting strawberries that may move from Ventura on up
17 the coast and following the strawberries, and that your
18 applications may follow that. Now, we don't have a sense
19 of, you know, whether the -- how close they are actually
20 to these applications. And, you know, so we have some
21 uncertainty that we introduce in using the Pesticide Use
22 Report data, because, you know, whether somebody is
23 actually where the applications are happening all the time
24 is another question entirely. But --

25 PANEL MEMBER GLANTZ: Do you just -- in a field

1 would you only apply this once, or do they do repeated
2 applications?

3 DR. BEAUVAIS: There are some cases where they
4 would do twice. But in most cases it's once.

5 PANEL MEMBER GLANTZ: So it's once per season?

6 DR. BEAUVAIS: Yeah. And with strawberries it's
7 once -- yeah, once per crop. And then they fumigate
8 between crops, yeah.

9 PANEL MEMBER GLANTZ: How many crops are there
10 per season?

11 DR. BEAUVAIS: Most cases one. And you can have
12 two.

13 PANEL MEMBER BLANC: You should point out that
14 this is a modification --

15 DR. BEAUVAIS: Yes.

16 PANEL MEMBER BLANC: -- from the previous draft
17 document.

18 DR. BEAUVAIS: Yeah.

19 PANEL MEMBER BLANC: Which had the season
20 being --

21 DR. BEAUVAIS: -- based on Monterey County only.

22 PANEL MEMBER BLANC: -- three months, is that
23 right?

24 DR. BEAUVAIS: Four months, yeah.

25 PANEL MEMBER BLANC: It was four months. So

1 it's --

2 DR. BEAUVAIS: So basically what happens when you
3 add -- yeah, when you -- I'm sorry. Yes. When you add in
4 these additional counties, it stretches out the season a
5 little bit. So we go from four months to five. Basically
6 what happens is Ventura, down when you get a little
7 further south, applications are happening earlier. And
8 the season's happening earlier basically. So that caused
9 June and July to go up and November to go down when we
10 averaged across all four counties.

11 But the idea behind this is what -- I need to
12 describe the graph briefly here too. This is -- across
13 the bottom here are the months of the year. And these are
14 five-year averages of use reported in these counties for
15 these months. And then the Y axis is percent of annual
16 use based on pounds applied. And so we're making the
17 assumption here that exposure's most likely when use is
18 happening or less likely to happen when there's not as
19 much use.

20 So that's -- and I'm setting a cutoff of 5
21 percent of the annual use. And so when I do that, I have
22 five months. And so that's the seasons that I'm using for
23 the bystanders here.

24 --o0o--

25 DR. BEAUVAIS: And then so bystanders to soil

1 fumigation. The seasonal exposure includes one week to a
2 year. And then annual and lifetime are explanatory.

3 So our assumptions again are 40 acres treated,
4 and then that applications occur roughly every two weeks
5 over five months during that year.

6 And then the annual concentration is calculated
7 by taking that seasonal and then multiplying it by 5 over
8 12.

9 So I also changed the assumed application rates.
10 And I went -- rather than assuming 500 pounds AI per acre
11 for the seasonal and annual, I went with 350 pounds AI per
12 acre. This is what EPA assumed it's based on the amount
13 that's supported by registrants. And you're still well
14 above the 50th percentile here, but it's not quite 500.

15 And then we go to lifetime. I did use the actual
16 50th percentile application rate for that. But all of
17 this is assuming 40 acres.

18 So the concentrations that we get were: For
19 seasonal 490 micrograms per cubic meter, annual was 200,
20 and lifetime was 88 micrograms per cubic meter for soil
21 fumigation bystanders.

22 --o0o--

23 DR. BEAUVAIS: So with the exception of the
24 application rate, the assumptions that we used were the
25 same for these longer term as for the short-term

1 estimates. They were not adjusted for the maximum
2 application rate.

3 And also, as I mentioned, that you could have
4 multiple applications in some areas. And looking at the
5 Pesticide Use Report data, we do see some sections, some
6 of these one-square-mile sections where you can have
7 frequent applications as much as 38 days over a five-month
8 interval. How close they are to each other and how close
9 bystanders are to any of these, I don't know. But, again,
10 the PUR data only allow me to go to one -- a resolution of
11 one square mile.

12 --o0o--

13 DR. BEAUVAIS: So that was it for soil
14 fumigation.

15 If there aren't any more questions, I'll proceed
16 to structural fumigation bystanders.

17 PANEL MEMBER BLANC: Yeah, you have about ten
18 minute more, you think, for presentation?

19 DR. BEAUVAIS: There are about 11 more slides --
20 I'm sorry -- 10 more slides, yeah.

21 PANEL MEMBER BLANC: And then we should take a
22 break after that for our transcriptionist. Are you okay?

23 CHAIRPERSON FROINES: That's what I was about to
24 ask.

25 PANEL MEMBER BYUS: Maybe we could start a

1 bonfire in here, warm it up a little bit.

2 The temperature is -- it's cold in here. The
3 temperature is cold.

4 Are we all cold or a little chilly?

5 MR. MATHEWS: There's no budget.

6 PANEL MEMBER GLANTZ: I'm comfortable because I
7 have a protective layer of fat.

8 (Laughter.)

9 DR. BEAUVAIS: Okay. So in addition to the soil
10 fumigation, as I mentioned before chloropicrin is also
11 used as a warning agent in structural fumigations. And we
12 do have studies in which off-site concentrations were
13 measured during structure fumigation. And so we have
14 three studies conducted by ARB and one study conducted by
15 registrants. And as it turns out again, the highest
16 concentrations for chloropicrin occurred in that
17 registrant study. So I'm going to be focusing on that one
18 as I describe this to you. All the studies are described
19 in the document.

20 But the --

21 PANEL MEMBER HAMMOND: That study's new from
22 the --

23 DR. BEAUVAIS: Yes, you're right, that is the new
24 study.

25 PANEL MEMBER HAMMOND: That's the new study,

1 right?

2 DR. BEAUVAIS: Yes. But we received that study
3 within the last year or roughly about a year ago.

4 So, I just want to point out that the amount of
5 chloropicrin used is much lower for structure fumigations
6 than soil fumigations, and that it's only used as a
7 warning agent. So we're talking about smaller amounts of
8 chloropicrin and smaller areas being treated. And you're
9 not taking acres here. You're talking individual
10 structures.

11 --o0o--

12 DR. BEAUVAIS: So this is a description of the
13 study. Basically they monitored eight fumigations. They
14 had four houses. And in each house, they tarped it,
15 fumigated it, aerated it, took the tarps down, and then
16 repeated that process. So that each house was fumigated
17 twice and back to back like, one after the other.

18 And then they had a total -- around each house a
19 total of 32 samplers. All were set around on the
20 outsides. And they -- they reported concentrations during
21 the fumigation and then during the aeration,

22 And then once the aeration was completed, they
23 switched over to indoor samplers. And I'll talk about
24 those when I'm talking about the indoor concentrations.

25 But right now focusing on the outdoor samplers,

1 they were set up around the house -- sides and corners of
2 the house, so you had two to six samplers on each side.
3 And I'll show you here.

4 --o0o--

5 DR. BEAUVAIS: So this is one of the houses here.
6 And each of these letter-number combinations corresponds
7 to a sampler. So here you have the 2 and 4, and then here
8 we go 1 out through 8. And so in these samplers the 1 and
9 2 numbers are five feet away from the edge of the house,
10 and the 3 and 4 are ten feet away. Number 5's are 25 feet
11 away, 6 is 50 feet, and on up to 8's, which are 100 feet
12 away from the house. So on four sides here we had a
13 hundred feet away.

14 And so this is -- the house that I'm showing you
15 here is the Replicate 2, which is the second fumigation of
16 the first house that they did. And this is where the
17 highest outdoor concentration came from. And so the
18 samplers were collected during the 24-hour fumigation and
19 the 12-hour aeration that followed that.

20 The highest outdoor chloropicrin concentrations
21 were measured following the second fumigation of the first
22 house. This is roughly a 32,000 foot cubic -- 32,000
23 cubic foot house, and it occurred at the sampler five feet
24 west of the house here.

25 --o0o--

1 PANEL MEMBER GLANTZ: Was the wind blowing?

2 DR. BEAUVAIS: A little bit. What I have are
3 averages for these sample intervals. That's what was
4 reported in there. Well, they actually did give me
5 five-minute averages as well. But they averaged
6 over time. And so I have -- in there I've reported I
7 think that information.

8 So based on this, results were adjusted for field
9 spike recoveries. Now, what they did was these were
10 fumigated with sulfuryl fluoride. And then chloropicrin
11 was used at the rate that the labels tell you to use this.
12 So I didn't adjust for that. So it was adjusted for field
13 spike recoveries.

14 And in terms of structure fumigation, you tend to
15 fumigate a house pretty rarely. And you don't run around
16 and fumigate one after another in a neighborhood. So
17 we're not dealing with seasonal, annual, or lifetime
18 exposures here. So these are only short-term exposures.

19 And so one hour is 244 micrograms per cubic
20 meter, on down to the 24 hour which is 49.7 micrograms per
21 cubic meter.

22 --o0o--

23 DR. BEAUVAIS: In addition to the structure -- so
24 that's it structure fumigation. And in addition to that,
25 we also have a space fumigation. There is a single

1 product label that's got bystander -- or that has
2 directions for fumigating in closed spaces. And it's for
3 empty potato storages and grain bins. So potato
4 warehouses and grain bins. And EPA has received a request
5 from the registrant to cancel the registration. However,
6 that label's still active, so it's considered an exposure
7 assessment.

8 The maximum application rate is .7 pounds
9 chloropicrin per a thousand cubic feet. And I'm assuming
10 a use of twice per year; that you fumigate between crops
11 and that you have two crops per year.

12 And so I have a 24 -- the annual then is the
13 24-hour concentration times two days divided by 365.

14 --o0o--

15 DR. BEAUVAIS: So what I did was I used the
16 structural fumigation data and expanded toward a larger
17 size so more chloropicrin being used, larger application
18 rate and larger size.

19 But I don't have seasonal exposures because I
20 don't have any duration anticipated between a week and a
21 year. So the one-hour adjacent to one of these is
22 estimated at 160,000 micrograms per cubic meter; and eight
23 hours is 46,000; and 24, 34; and then on down to annual
24 and lifetime, which are both 190.

25 --o0o--

1 PANEL MEMBER BYUS: You said this is just the
2 internal space that's being fumigated.

3 DR. BEAUVAIS: Yeah.

4 PANEL MEMBER BYUS: Like this is no bystander,
5 this is just the --

6 DR. BEAUVAIS: No, these are bystanders. These
7 are adjacent.

8 PANEL MEMBER BYUS: These are bystanders?

9 DR. BEAUVAIS: Yes.

10 PANEL MEMBER BYUS: So this is not the internal
11 concentration --

12 DR. BEAUVAIS: No, these are adjacent --

13 CHAIRPERSON FROINES: No, it's bystanders.

14 DR. BEAUVAIS: So it's scaling up from that
15 structural fumigation data.

16 PANEL MEMBER GLANTZ: But is it still -- I mean
17 when you talk about an annual exposure, I mean is it still
18 emitting over a year? So you're taking --

19 DR. BEAUVAIS: I'd say over a year you're getting
20 these pulsed exposures.

21 PANEL MEMBER HAMMOND: They may refumigate the
22 deep potato bin.

23 DR. BEAUVAIS: Yeah.

24 PANEL MEMBER HAMMOND: Where they fill it up with
25 potatoes and they empty it and they refumigate it?

1 DR. BEAUVAIS: Yeah.

2 PANEL MEMBER BYUS: I mean I -- so the actual
3 concentration in the bin, out of curiosity, I mean what
4 does it take to kill off the fungus or whatever you're
5 killing in there?

6 (Laughter.)

7 DR. BEAUVAIS: I've got a --

8 PANEL MEMBER BYUS: Compared to what -- it's
9 interesting. I mean I --

10 PANEL MEMBER HAMMOND: Well, maybe it was .7
11 pounds per --

12 DR. BEAUVAIS: Yeah, it's -- that's the
13 application rate, so I can -- yeah, I actually have a
14 spreadsheet where I've put that into parts per billion.
15 But I haven't put it in the document and I don't the
16 number off -- it's hundreds of thousands, but -- it's
17 substantial, the internal concentration is --

18 PANEL MEMBER BLANC: Can I ask on the previous --
19 now let's leave the storage bin aside for a second and
20 talk about the structural. The data that you had from the
21 one home that's presented earlier on in the document,
22 where at two weeks it was two parts per billion and then
23 at 12 weeks it was still two parts per billion. Do you
24 know what I'm referring to? Was that --

25 DR. BEAUVAIS: Structural?

1 PANEL MEMBER BLANC: It was a structural
2 application somebody may -- I think you cited apropos.

3 Now, wait. Maybe it's the other -- oh, no, it's
4 actually in the health assessment. It's about a family
5 that had symptoms of the Teslaa article.

6 DR. BEAUVAIS: Okay.

7 PANEL MEMBER BLANC: And chloropicrin residues
8 measured at 6, 18, and 38 weeks after application were 30,
9 2, and 2 parts per billion.

10 Does that at all affect the calculations that you
11 would make for what the outside bystander exposure might
12 be from a household application? In other words, if these
13 data suggest that inside there's still detectable
14 chloropicrin a month and a half after, so there would be
15 some flux outside. I think that your --

16 DR. BEAUVAIS: Oh, I see what you're saying. So
17 in other words the fact that I'm saying that there's no --

18 PANEL MEMBER BLANC: Yeah, 24 -- there's no
19 seasonal, for example. Is that, strictly speaking, true
20 based on those data?

21 DR. BEAUVAIS: Yeah, it's a -- it's a good
22 question.

23 PANEL MEMBER BLANC: You might want to just pull
24 that article and look at it, because I guess it's partly
25 because it was dealt with in the health section that you

1 didn't hone in on it.

2 DR. BEAUVAIS: Yeah.

3 PANEL MEMBER BLANC: Maybe there was something
4 peculiar about the --

5 DR. BEAUVAIS: Well, I'm trying to remember it
6 and trying to remember if we haven't -- if there's a
7 chance that that was not a legal application. And perhaps
8 that was an over application, but I don't know. But, yes,
9 I'll look at that.

10 PANEL MEMBER BLANC: Okay.

11 DR. BEAUVAIS: Moving forward again.

12 Okay. So that's what I was just showing you, a
13 space fumigation.

14 --o0o--

15 DR. BEAUVAIS: And then to talk about the
16 uncertainties associated with structural and space
17 fumigation, that in this case we base concentrations on
18 measured off-site data, not modeling. In this case, they
19 probably expected to be health protectives because the
20 samplers were -- unlike the situation with the field
21 applications, these studies were monitoring actual
22 applications where the samplers were roughly as close as
23 the bystanders are expected to be. And they were going at
24 maximum application rates.

25 And then I corrected for field spike recoveries.

1 --o0o--

2 DR. BEAUVAIS: And then, finally, the last thing
3 to talk about is indoor air concentrations, which is
4 something that the toxic air contaminant regulations
5 specify that we do need to address. And in the case of
6 chloropicrin indoor air concentrations, not -- all
7 bystanders we don't distinguish between outdoor and
8 indoor. I'm not making any assumption that if the house
9 is adjacent to a field, that the concentrations have
10 decreased somehow within the house. And we're not making
11 any assumptions about that. So we're sort of factoring
12 that in and implying it, you know, in an unspoken way in
13 the document with all the bystander estimates.

14 But for indoor concentrations people can enter a
15 structure that has been fumigated and we have data to
16 suggest that there could still be chloropicrin
17 concentrations that they could be exposed to after that.
18 And so what we're looking at here is in this study's -- in
19 the registrant study they had indoor air concentrations
20 post-aeration. So this was after the houses were cleared.
21 And when they clear them they look at the fumigant. They
22 don't look at the chloropicrin concentrations. They go in
23 and they measure the fumigant and say in this case
24 sulfuryl fluoride concentrations are below the prescribed
25 amount to allow people back in. And that's the point at

1 hours is what you're saying?

2 DR. BEAUVAIS: Yes.

3 PANEL MEMBER BLANC: But you could calculate a
4 half-life based on going from 180 to 170 over the next 16
5 hours, the way it did, right? I mean the half-life must
6 be something like six days or seven days or something, or
7 more.

8 DR. BEAUVAIS: Um-hmm.

9 PANEL MEMBER BLANC: So that would probably let
10 you come up with a more than 24-hour exposure calculation
11 for the indoor, right?

12 DR. BEAUVAIS: Okay.

13 PANEL MEMBER BLANC: I mean the area under the
14 curve must be considerable.

15 CHAIRPERSON FROINES: Yeah.

16 PANEL MEMBER BLANC: So in fact there probably is
17 something that's like a seasonal value that's going to be
18 not trivial.

19 DR. BEAUVAIS: Okay.

20 CHAIRPERSON FROINES: I don't want to take
21 questions right now. I'd rather we take a break, because
22 it's 11:35. So we've been going for at least two hours.

23 So let's take a break, Joe, and then we can start
24 asking questions.

25 So let's take a ten-minute break.

1 (Thereupon a recess was taken.)

2 CHAIRPERSON FROINES: Folks, are you -- but
3 you're not ready.

4 DR. BEAUVAIS: I'll stop chewing.

5 PANEL MEMBER BLANC: Now, here's what I'd
6 recommend. I know that you had some questions. But what
7 I think we should do is just hear the health presentation
8 and then sort of integrate our questions at that point.

9 CHAIRPERSON FROINES: But it may be -- now, you
10 realize it may be that the questions -- with your 2
11 o'clock timeline, and it's 12 o'clock, will we
12 have -- what I'm worried about is having to wait to
13 another session before we get to questions asked.

14 PANEL MEMBER BLANC: Well, let's just -- John, I
15 don't know how many questions you have.

16 PANEL MEMBER LANDOLPH: I can certainly wait.
17 Because we're going to do another one, right, before we
18 finish here?

19 CHAIRPERSON FROINES: Yeah, but I don't want you
20 to forget. I mean I --

21 PANEL MEMBER GLANTZ: Why don't you let him ask
22 his questions.

23 PANEL MEMBER LANDOLPH: I have a memory like an
24 ox.

25 CHAIRPERSON FROINES: Why don't we just go around

1 with questions. And if it starts to look -- if we run
2 more than a half hour, we'll stop and go with Paul's
3 suggestion.

4 Let's just see who has questions.

5 So, Joe, start out.

6 PANEL MEMBER LANDOLPH: Yeah, thank you for your
7 presentations. They were very thorough. I had a couple
8 quick questions.

9 One is, are there not alternatives to
10 chloropicrin as a marker? I guess it's used because it's
11 very accurate at low concentrations. Aren't there more
12 benign substances, thiols or something, that could replace
13 it? - is one.

14 DR. BEAUVAIS: To answer that question, that
15 hypothetical, there certainly ought to be. And I don't --
16 we don't have any that I'm aware of right now. I mean
17 it's difficult to have something that has a sharp response
18 rapidly. And chloropicrin does that. But that
19 is -- yeah, that certainly is some technology that would
20 be nice to have, is a change in chemicals, yes, for --

21 PANEL MEMBER LANDOLPH: Okay. And then another
22 one is, I looked over the manufacturers', scientists', you
23 know, comments and your questions, and I read that very
24 carefully. And certainly there is data for mutagenicity
25 in bacteria and --

1 DR. BEAUVAIS: Okay. That's different --

2 PANEL MEMBER BLANC: Joe, can I interrupt you. I
3 think that's going to be appropriate to the health effects
4 part that we're about to hear.

5 PANEL MEMBER LANDOLPH: Okay. Well, that's all
6 the questions I've got on that section. So go ahead.

7 DR. BEAUVAIS: Okay.

8 CHAIRPERSON FROINES: Craig.

9 PANEL MEMBER BYUS: I asked most of my questions.
10 But just echoing him, I'm a nongenotoxic marker would be
11 what I would go try and find, something that was not
12 genotoxic, if at all possible.

13 CHAIRPERSON FROINES: Can I make a comment
14 from -- is Marylou in the room?

15 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yes.

16 CHAIRPERSON FROINES: Marylou, at some point I
17 think it would be great -- it would be very advantageous
18 if we had a session that was a sort of thinking session,
19 because I think the subject of fumigants deserves a lot of
20 discussion. And it would be nice to have just an
21 open-ended session where we all sort of exchanged ideas
22 about these kinds of things that come up. And nobody
23 needs to worry, because it would be just ideas being
24 discussed.

25 DPR ASSISTANT DIRECTOR VERDER-CARLOS: I agree

1 with you. So I'll keep -- actually internally we were
2 planning on doing that for all fumigants already, but --

3 MR. MATHEWS: It's on the record. She has to be
4 on the mike so we can get it on the record.

5 CHAIRPERSON FROINES: I don't want to take -- so
6 we can let it go if you want.

7 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Oh.

8 CHAIRPERSON FROINES: We can let it go if --

9 DPR ASSISTANT DIRECTOR VERDER-CARLOS: We'll
10 just --

11 CHAIRPERSON FROINES: Go over and say yes.

12 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yes, I
13 agree with you, Dr. Froines.

14 CHAIRPERSON FROINES: I still lecture in my
15 classes at UCLA on DBCP and, you know, it's been a long
16 time since -- so the issue is really still with us in a
17 big way.

18 So in a kind of semi-formal, informal meeting it
19 would be interesting to talk about these kinds of issues.
20 And it might even be interesting to have some people who
21 know something also outside --

22 PANEL MEMBER GLANTZ: We should talk about this
23 after Paul leaves.

24 CHAIRPERSON FROINES: Yeah, that's what I'm
25 trying to -- I'm trying to stop. I'll stop. I made my

1 point.

2 Paul.

3 PANEL MEMBER BLANC: I asked the questions I had
4 during the session.

5 CHAIRPERSON FROINES: Kathy.

6 PANEL MEMBER HAMMOND: Likewise.

7 PANEL MEMBER GLANTZ: I already asked my
8 questions.

9 PANEL MEMBER FRIEDMAN: I have no other
10 questions.

11 PANEL MEMBER BYUS: I might also just compliment
12 you and say what a nice job you did presenting this data.

13 DR. BEAUVAIS: Thank you.

14 PANEL MEMBER BYUS: Thorough, it was. The nice
15 data sets to back up the modeling. It was very nice to
16 see.

17 DR. BEAUVAIS: Thank you.

18 DR. BARRY: Thank you.

19 DR. BEAUVAIS: We appreciate the help that the
20 leads have given us on this too. Thank you.

21 PANEL MEMBER HAMMOND: Yeah, I agree though with
22 Craig. It was a wonderful presentation, clear for
23 complicated material.

24 DR. BEAUVAIS: Thank you.

25 CHAIRPERSON FROINES: We've already talked. But

1 it shows you the benefit of good leads working with the
2 agency.

3 PANEL MEMBER HAMMOND: No, the agency gets the
4 credit.

5 PANEL MEMBER GLANTZ: Let's move on. Let's move
6 on before Paul Blanc strangles someone.

7 DPR ASSOCIATE TOXICOLOGIST LEWIS: With that, I
8 will move on.

9 (Thereupon an overhead presentation was
10 Presented as follows.)

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: As many of you
12 know, chloropicrin was used as a warfare agent in World
13 War I primarily due to its strong ocular and respiratory
14 irritant properties. It was first used as a fumigant in
15 1926 in flour mills.

16 NIOSH established the immediately dangerous to
17 life and health level at 2 ppm based on reports that
18 soldiers were incapacitated or unable to fight at these
19 concentrations.

20 The threshold limit value was set at .1 ppm based
21 on reports of tearing at .3 ppm. DPR placed
22 chloropicrin --

23 CHAIRPERSON FROINES: Question.

24 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yes.

25 CHAIRPERSON FROINES: California updates their

1 TLVs annually. So is the ACGIH TLV and the California
2 value the same?

3 DPR ASSOCIATE TOXICOLOGIST LEWIS: No. There's
4 the RELs, if you're referring to OEHHA's RELs, or --

5 PANEL MEMBER HAMMOND: Cal/OSHA.

6 DPR ASSOCIATE TOXICOLOGIST LEWIS: Cal/OSHA.
7 Yeah, I'm not -- actually, to be honest, I'm not aware of
8 what Cal/OSHA's TLV is for chloropicrin. But I can
9 certainly --

10 CHAIRPERSON FROINES: It's not a big deal. It's
11 just --

12 PANEL MEMBER FRIEDMAN: Could you just tell us
13 what TWA and TLV stands for?

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: Time weighted
15 average, threshold limit value.

16 PANEL MEMBER FRIEDMAN: And limits for health or
17 what?

18 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, it's
19 usually an occupational exposure limit that --

20 PANEL MEMBER HAMMOND: And, yes, it's a health
21 based. It's the -- this is where the OSHA regulations
22 came from originally. These are the industrial hygiene
23 organizations' recommended values before there was an
24 OSHA.

25 CHAIRPERSON FROINES: It's a maximum value for --

1 PANEL MEMBER HAMMOND: And it's supposed to be
2 the level at which workers have been exposed for 40 hours
3 a week without adverse health effects.

4 PANEL MEMBER FRIEDMAN: Oh, okay.

5 CHAIRPERSON FROINES: But it's an 8 hour --

6 PANEL MEMBER HAMMOND: Yeah.

7 CHAIRPERSON FROINES: Onward.

8 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. Moving
9 on.

10 --o0o--

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay.
12 Chloropicrin was placed in reevaluation based on air
13 monitoring data that showed that the air concentrations
14 exceeded the TLV at some distances from greenhouses that
15 were fumigated with chloropicrin.

16 The primary effects seen in animals and humans
17 with exposure to chloropicrin are sensory irritation and
18 respiratory toxicity. And one of the proposed mechanisms
19 for this toxicity is its reaction with various biological
20 files. And this diagram shows the reaction of
21 chloropicrin on the left there, with glutathione above and
22 with hemoglobin down below. This results in the formation
23 of disulfide bridges and the formation of
24 dichloronitromethane.

25 Yes.

1 CHAIRPERSON FROINES: Go ahead.

2 PANEL MEMBER LANDOLPH: Okay. Real quick.

3 Is that driven by glutathione tranferase or is
4 that just a spontaneous reaction?

5 DPR ASSOCIATE TOXICOLOGIST LEWIS: I think it's a
6 spontaneous reaction.

7 PANEL MEMBER LANDOLPH: Because I didn't see any
8 mention of glutathione transferase that would --

9 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, I was
10 not aware. There are very few studies on the metabolism
11 or toxicity mechanisms for chloropicrin. And --

12 CHAIRPERSON FROINES: Can I comment on this?

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Uh-huh.

14 CHAIRPERSON FROINES: This is a very nice picture
15 that Susan Sparks at UC Berkeley did in 1997, I think, and
16 in 2000. And what's not -- why she's not quite correct in
17 what she's doing -- it's a nice piece of work. But the
18 chlorines on the compound are electron withdrawing. So's
19 the nitro group. And so what you've got is a very strong
20 partial positive charge on the carbon. And there
21 is -- there is literature showing, for example, that
22 methanol that's been treated with sodium and forms an
23 anion will react also with chloropicrin. In other words,
24 chloropicrin is a strong -- is a strong electrophile that
25 produces irreversible covalent bonds, and that

1 this -- this is just showing its electrophilicity. This
2 is not a mechanism for toxicity. This is -- this shows
3 that carbon has got a partial positive charge and will
4 react with thiols and will react with a whole bunch of
5 other things that are nucleo-thiols.

6 And so it's -- if you understand the chemistry,
7 we need -- this comes up because of the genotoxicity and
8 carcinogenicity. If you add a third feature, which is the
9 electrophilicity of the compound, that adds to the notion
10 of electrophilicity. And I saw your -- I saw that
11 paper -- those two papers that you quoted, and I thought
12 that was very good. But I think that carbon is very
13 reactive.

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. Some of
15 the other proposed target proteins are succinate and
16 pyruvate dehydrogenase, which have thiol groups in their
17 active site. Inhibition of these enzymes is supposed to
18 be -- or is suspected to be the cause of the lacrimatoried
19 effects of chloropicrin. Also, inhibition of these
20 enzymes correlates with the lethality of other
21 halonitromethanes, quinones, fungicides, and other
22 thiol-reactive chemicals.

23 Did you want to go back?

24 PANEL MEMBER BLANC: No, just to sort of
25 translate John's comment into a practical editorial

1 modification of the section -- this section on pathways of
2 reaction. I think to just -- the problem could be
3 addressed by simply a sentence at the end of that section
4 just before the beginning of the acute toxicity, you know,
5 that would say, "In summary, this compound is" -- "this
6 electrophilic compound is capable of multiple reactions,
7 of which these are examples but are not meant to be the
8 sole substrates with which chloropicrin can react."

9 CHAIRPERSON FROINES: Doesn't have to just react
10 with proteins. It can react with nucleophiles that
11 contain nitrogen as well as sulfur.

12 And just --

13 PANEL MEMBER BLANC: No, I think, John, if you
14 have -- I don't think that that sentence or two sentences
15 needs necessarily to have a reference. But if you had
16 one, you want to pass on to the --

17 CHAIRPERSON FROINES: Well, I'll give you the
18 reference from the 1966 paper that shows the
19 reactivity -- its reactivity.

20 PANEL MEMBER BLANC: So I don't think you in any
21 way need to rewrite the section. I Just think you need to
22 say something pithy at the end of that section, say "These
23 are examples. This isn't meant to be," you know --

24 DPR ASSOCIATE TOXICOLOGIST LEWIS: -- limited to
25 that.

1 PANEL MEMBER BLANC: Right.

2 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah. Okay.

3 CHAIRPERSON FROINES: It sure reacts with thiol
4 groups though.

5 DPR ASSOCIATE TOXICOLOGIST LEWIS: I'd just like
6 to interject before I go on to this slide.

7 Dr. Blanc had mentioned earlier -- wondered if I
8 had some comments to make about the Maine manufacturing
9 incident. I was not aware of that study until recently.
10 So it isn't in the current draft of the document. I'll
11 look at it to see if there's some illness reports in it
12 that would be useful.

13 PANEL MEMBER BLANC: Main manufacturing, I'm
14 sorry, you lost -- oh, the Maine, Maine, the State of
15 Maine.

16 DPR ASSOCIATE TOXICOLOGIST LEWIS: The State of
17 Maine, yeah, not --

18 PANEL MEMBER BLANC: Right, right.

19 (Laughter.)

20 PANEL MEMBER BLANC: Although it is described in
21 the health section elsewhere -- no, it's not actually.

22 DPR ASSOCIATE TOXICOLOGIST LEWIS: I don't think
23 so. No, I didn't --

24 PANEL MEMBER HAMMOND: I think the
25 environmental --

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: It's in her
2 document and not in mine.

3 PANEL MEMBER BLANC: All right. Good. Thank
4 you.

5 CHAIRPERSON FROINES: One thing I wanted to
6 comment on was, there's a paper this year, 2007, 2006,
7 2008, that looks at the issue of academic research and the
8 quality of academic research versus good laboratory
9 practices. And it's a devastating paper. And I'll send
10 it to you --

11 PANEL MEMBER GLANTZ: Who's stating to which
12 side?

13 CHAIRPERSON FROINES: Good laboratory practices
14 are -- is the equivalent to prehistoric animals.

15 (Laughter.)

16 PANEL MEMBER HAMMOND: It's good for dinosaurs?

17 CHAIRPERSON FROINES: It's good for dinosaurs.

18 PANEL MEMBER BLANC: Okay. We should move on
19 now. Okay?

20 CHAIRPERSON FROINES: No., but it's an important
21 issue for her to -- I don't think she's seen that paper.
22 And so she --

23 DPR ASSOCIATE TOXICOLOGIST LEWIS: I might not
24 have.

25 CHAIRPERSON FROINES: It will be useful just to

1 make sure -- to understand that --

2 PANEL MEMBER BLANC: Okay.

3 DPR ASSOCIATE TOXICOLOGIST LEWIS: So, a human
4 sensory irritation study was conducted for chloropicrin.
5 And this study was used to estimate a one-hour NOEL. I'm
6 going to discuss it in some details because of the
7 relevance of the species, also because of its unique
8 design. And benchmark dose analysis needed to be done to
9 come up with a one-hour NOEL.

10 There were three phases in this study:

11 The first phase consisted of brief exposures to
12 establish thresholds for odor, eye, nose, and throat
13 irritation.

14 The second phase involved longer exposures of 20
15 minute and a chamber at lower concentrations to estimate
16 the ability of subjects to detect the presence of
17 chloropicrin by eye, nose, and throat irritation.

18 And then the last phase consisted of one-hour
19 exposures over four consecutive days, and which not only
20 the eye, nose, and throat irritation were evaluated, but
21 various respiratory variables and pulmonary function were
22 evaluated.

23 DPR found this study acceptable because it was
24 conducted according to good laboratory practice
25 regulations and the protocol was approved by the internal

1 review board at UC San Diego. The protocol was also
2 reviewed by a biostatistician to ensure there was
3 sufficient statistical power. And it was also reviewed by
4 U.S. EPA's Human Studies Review Board and found to be
5 conducted ethically and scientifically valid.

6 --o0o--

7 DPR ASSOCIATE TOXICOLOGIST LEWIS: So the third
8 phase of this study was used to estimate a one-hour NOEL.
9 This study used 32 young adult subjects, 15 of which were
10 male and 17 were female. The subjects were exposed at 0,
11 100, or 150 ppb for one hour on four consecutive days.

12 During their exposure, they were asked to rate
13 their eye, nose, and throat irritation on a scale of 0 to
14 3 every minute during the one-hour exposure.

15 And at no time was any nose or throat irritation
16 reported. However, eye irritation was reported at both
17 100 and 150 ppb.

18 --o0o--

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: Now, this
20 graph shows the eye -- average eye irritation, broken down
21 by day of exposure. And the top line with the open
22 squares represents 150 ppb level, the black circles
23 represent the 100 ppb group, and the open circles
24 represent the blank air. As you can see, there is no
25 carry-over in the eye irritation from one day to the next

1 at these concentrations.

2 --o0o--

3 DPR ASSOCIATE TOXICOLOGIST LEWIS: So the eye
4 irritation scores for the four days were average together.
5 And then in this graph, they broke it down by time during
6 exposure. And in this graph, the solid circles are the
7 150 ppb group and the gray circles are the 100 ppb and the
8 open circles are the blank air.

9 And you can see after 20 to 30 minutes, the eye
10 irritation scores -- or irritation start to plateau out.
11 The maximum eye irritation scores are reached earlier at
12 the higher concentration, at 100 ppb. They take almost 30
13 minutes before they reach the maximum.

14 Also interestingly it at least appears with this
15 data that there's a decrease in the eye irritation during
16 the last five minutes of exposure.

17 --o0o--

18 DPR ASSOCIATE TOXICOLOGIST LEWIS: Other
19 respiratory variables were evaluated in phase 3. None of
20 the lower respiratory variables were affected. And this
21 included -- nitric oxide concentration expired pulmonary
22 air. And the nitric oxide is an indication of respiratory
23 inflammation.

24 There was also no effect on pulmonary function
25 based on the forced vital capacity and the forced

1 elimination volume in one minute.

2 However, a couple of the upper respiratory
3 variables were affected. This included a reduction in
4 nasal air flow at 150 ppb and an increase in nitric oxide
5 concentration in expired nasal air at 100 and 150 ppb

6 CHAIRPERSON FROINES: Just a question.

7 Paul?

8 PANEL MEMBER BLANC: Yeah.

9 CHAIRPERSON FROINES: Would you -- go back to
10 that slide.

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, go back
12 one slide?

13 CHAIRPERSON FROINES: Would you expect -- with
14 this compound, would you expect to see changes in lung
15 function? I wouldn't think it would be sensitive enough.

16 PANEL MEMBER BLANC: Well, I mean that's a
17 complicated question because it's going to be dose
18 related. So all I would say is that, you know, measuring
19 flow at relatively high lung volumes, they didn't see an
20 effect. There are other more subtle things one can
21 measure, such as changes in nonspecific airway
22 hyperactivity. So all you can say is that these lung
23 function measures didn't show a change. And, again,
24 you're looking at persons who are otherwise healthy. So
25 you can't really comment from these data on whether or not

1 sensitive -- or susceptible subpopulations would respond
2 differently.

3 DPR ASSOCIATE TOXICOLOGIST LEWIS: They did
4 purposely exclude people who had allergies or asthma.

5 PANEL MEMBER HAMMOND: Include?

6 PANEL MEMBER BLANC: Exclude.

7 DPR ASSOCIATE TOXICOLOGIST LEWIS: Excluded. I'm
8 sorry. Yeah.

9 CHAIRPERSON FROINES: I wouldn't be surprised at
10 the NO concentration expiration. There's a pulmonary
11 function I would be more -- well, never mind. Let it go.

12 --o0o--

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So
14 Table 2 in the document is a summary of the ocular and
15 nasal irritation seen in phase 3 of this study.

16 The first row shows the average eye irritation
17 score during the entire one-hour exposure period.

18 And then the second row shows the scores for just
19 the plateau period, which it's defined as minute 30, to
20 minute 55 of exposure.

21 And the last line shows the average increase in
22 four days for the nitric oxide in nasal air at the
23 different treatment levels.

24 And because there were effects at the lowest dose
25 level, a benchmark dose analysis was performed to estimate

1 a NOEL for both of these effects. For the eye irritation,
2 the average score from the plateau period was used to
3 estimate the benchmark doses. The differences were more
4 marked with just limiting it to that period.

5 --o0o--

6 DPR ASSOCIATE TOXICOLOGIST LEWIS: So one of the
7 challenges in doing a benchmark dose analysis with
8 continuous data such as this is selecting the threshold to
9 identify subjects as either responders or nonresponders.
10 We selected a hybrid approach because it was more
11 objective. It uses standard deviation in the control
12 group to establish the threshold.

13 A benchmark concentration at the 10 percent
14 response level was used for the eye irritation rather than
15 the default of 5 percent because this affect was
16 considered mild and reversible.

17 However, based on Dr. Blanc's suggestion, we used
18 the 5 percent response level for the increased nitric
19 oxide because of greater concern about this effect.

20 So the benchmark -- the BMCL at 10 percent for
21 eye irritation came out to 26 ppb by our analysis. And
22 the BMCL₀₅ for the increased nitric oxide was 44 ppb.

23 I would like to point out, in OEHHA's finding,
24 they noted that the reference concentration would
25 actually -- for the increase nitric oxide would actually

1 be lower than the eye irritation reference concentration,
2 because a smaller uncertainty factor was used for eye
3 irritation since no toxicokinetic variation was
4 anticipated due to a direct acting mechanism of toxicity.

5 So it may be more health protective to use the
6 increase in nitric oxide concentration for evaluating the
7 one-hour exposures.

8 However, in the document currently, the one-hour
9 MOEs are calculated using the BMCL for eye irritation.

10 PANEL MEMBER BLANC: So in other words, if we
11 wanted to compare what would happen with using that more
12 conservative approach with NO, you would essentially
13 divide that by a third?

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, well,
15 have -- the reference concentration for the eye irritation
16 comes out to 8.7. For the increased nitric oxide it would
17 come out 4.4. So it would reduce the MOEs by half.

18 PANEL MEMBER BLANC: And can you just for our
19 edification clarify -- I'm assuming that there aren't
20 non-parametric alternative benchmark approaches that one
21 can use if it's a non-parametric kind of problem. That's
22 just an assumption I -- I don't think that there is
23 something like that, but I'm just curious. The reason I
24 ask is because certainly for the symptom irritation it's
25 not -- it doesn't -- based on their data, it doesn't

1 appear to be a normally distributed endpoint. That's why
2 the standard deviations would take you below zero. I mean
3 it's got a long tail.

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: I'm not aware
5 of any runs for -- that are non-parametric. This was a
6 discussion we had with U.S. EPA. They accepted the
7 chloropicrin task force benchmark dose analysis, which set
8 the threshold at an average eye irritation score of 1.5 as
9 defining a responder or nonresponder. And with that came
10 the assumption that a certain mild eye irritation was
11 acceptable because of its use as a warning agent. We
12 didn't make that assumption.

13 PANEL MEMBER BLANC: Right.

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: So --

15 PANEL MEMBER BLANC: And they didn't use the
16 nitric --

17 DPR ASSOCIATE TOXICOLOGIST LEWIS: No.

18 PANEL MEMBER BLANC: -- the nasal nitric oxide.
19 But the fact that they accepted a benchmark approach of
20 any kind means that they weren't dismayed by the -- they
21 didn't feel that the distribution -- the pattern of
22 distribution precluded a benchmark analysis.

23 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, the
24 discussions I had with U.S. EPA was, "Oh, you can't treat
25 this like true continuous data, because it's categorical."

1 But I talked to several statisticians. And what I -- they
2 don't know how else to treat it.

3 PANEL MEMBER BLANC: Right. Okay.

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: And actually
5 what I'm working with is the average store for each
6 individual. And so by -- at that point to me it starts to
7 become continuous data. But I don't know if Stan --

8 PANEL MEMBER BLANC: I think it may have more to
9 do with the --

10 DPR ASSOCIATE TOXICOLOGIST LEWIS: -- just the
11 distribution.

12 PANEL MEMBER BLANC: -- the cutoff that we use,
13 you know, the 5 percent or so, if that makes sense in
14 this -- whether that's conservative enough.

15 But I would say that the point -- the specific
16 point of OEHHA, which I hadn't thought of before in terms
17 of using ten instead of three for the NO effect, keeping
18 with the .5, that might be somewhat more conservative. It
19 doesn't give you a radically different answer but
20 something that's -- it sounds like it comes out to 13. Or
21 whatever it comes to, it will come to something like half
22 of what you have now but not an order of magnitude change.

23 So that does sound like a reasonable response to
24 that problem. And of course when you use the nasal nitric
25 oxide, that's not normally distributed either, but it is a

1 measure where you have more confidence that the unit
2 distance is the same. For me, the simplest form of the
3 problem isn't that it's not a continuous variable. The
4 problem is that you can't know that the distance between 0
5 and 1 is the same as between 1 and 2, is the same as
6 between 2 and 3, even though you're telling people to rate
7 your eye irritation on a scale of 0 to 5, because actually
8 nobody said, for example, that -- well, some people might
9 have said they had 5. But to go from 3 to 4 may be a
10 bigger jump for someone in their interpretation. Whereas
11 the nitric -- the nasal nitric oxide is more truly a
12 unit --

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay.

14 PANEL MEMBER BLANC: -- difference.

15 CHAIRPERSON FROINES: Does OEHHA use .05?

16 PANEL MEMBER BLANC: They were fine with that.

17 And we could hear from them later. Their question was
18 whether or not once you got past that stage, whether the
19 intraspecies question should be three or ten.

20 CHAIRPERSON FROINES: Well, I think this question
21 of what number one chooses for the benchmark is an issue
22 for discussion, not necessarily in this context but in
23 general.

24 DPR ASSOCIATE TOXICOLOGIST LEWIS: Generally we
25 use a 5 percent response level unless there's -- it's

1 either less of a concern, you know, as -- and in the case
2 of the eye irritation, we considered mild and reversible.
3 Whereas most things we would use 5 percent unless we had
4 greater concern. And you'll see later on we actually went
5 down to 2.5 percent for --

6 PANEL MEMBER BLANC: -- bronchiectasis.

7 DPR ASSOCIATE TOXICOLOGIST LEWIS:

8 -- bronchiectasis. So --

9 PANEL MEMBER BLANC: By the way, to just follow
10 up on John's point, I think that parenthetically what you
11 should present in the text would be -- let's say you
12 choose to go with a BMCL₀₅ for NO but with a tenfold
13 adjustment. You can certainly present what the -- if you
14 were to do the eye at 05 and only use a threefold, what
15 that would look like. I think it would come out to be
16 something quite similar probably arithmetically.

17 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, actually
18 OEHHA did ask me informally what the BMCL₀₅ was for eye
19 irritation. And if I recall, somewhere around 17 ppbs.

20 PANEL MEMBER BLANC: Okay. Thank you.

21 CHAIRPERSON FROINES: To be using -- because, you
22 know, we've used the 95 percent upper confidence limit for
23 the linearized multi-stage model since time began. And
24 the question is -- we haven't debated some of these
25 numbers very effectively in my view.

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. Well,
2 moving along.

3 Because of uncertainties about extrapolating the
4 1-hour NOEL out to evaluate 8-hour and 24-hour exposures,
5 a rabbit developmental toxicity study was selected for
6 estimating 8-hour and 24-hour NOELs. In this study
7 pregnant rats were exposed 6 hours per day from gestation
8 day 7 through 21. And the maternal effects that were seen
9 in the first few days of exposure were considered acute.
10 And these included deaths, discolored lungs, pulmonary
11 edema, clinical signs of sensory and respiratory
12 irritation, and reduced body weights and food consumption.

13 And I'll just go ahead and move on to this table.

14 --o0o--

15 DPR ASSOCIATE TOXICOLOGIST LEWIS: It's Table 12
16 in the document. And it's an abridged form of it because
17 of space.

18 The incidence data in this table, the number
19 outside the parentheses is the incidents between gestation
20 days 7 and 11, in other words in the first five days of
21 exposure. And then the number in the parentheses is the
22 incidents after the first five days of exposure.

23 And you can see there were a number of deaths
24 that occurred -- in fact, most of the deaths occurred
25 early on in this study. And some of them had -- usually

1 the ones that were dying had other signs of respiratory
2 and ocular irritation. Probably the most sensitive
3 clinical sign was the nasal discharge. However, it didn't
4 lend itself to benchmark dose analysis because of the
5 non-monotonic dose response.

6 Most of the animals that died had red discolored
7 lungs. Well, in fact, all of them had red discolored
8 lungs. And then many of them also had edema in the lungs.

9 Some of the other more sensitive endpoints were
10 reduction in the body weight gain during the first week
11 and in the food consumption.

12 And one of the reasons I'm showing this data too
13 is to show that there really isn't a lot going on at this
14 dose level other than these late onset nasal discharge.
15 And so I think that the lowest dose group -- or dose level
16 in this study is really a NOEL, and a benchmark dose
17 analysis is not needed for this.

18 So this study was then used to estimate 8-hour
19 and 24-hour human equivalent concentrations, which came
20 out to be 270 ppb and 92 ppb.

21 --o0o--

22 DPR ASSOCIATE TOXICOLOGIST LEWIS: And I'd also
23 like to mention that OEHHA in their findings suggested
24 that we use the 1-hour RfC for increased nitric oxide for
25 evaluating the eight-hour exposure. Now they estimated

1 the one-hour RfC by dividing by an additional uncertainty
2 factor of 3 for children. In our document, when we
3 calculated the eight-hour RfC, we did not include an
4 additional uncertainty factor of 3 for children. But if
5 you did do that, then the eight-hour RfC from the rabbit
6 study would still come out to be lower, at .9 ppb, than
7 the one-hour RfC that OEHHA had estimated.

8 So I still think it's more health protective to
9 use the eight-hour RfC derived from the rabbit study to
10 evaluate those eight-hour exposures than using the
11 one-hour RfC from the human study.

12 PANEL MEMBER BLANC: Presuming that you throw in
13 the extra --

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, assuming
15 you're -- I think you need to be consistent, whatever you
16 do, yeah.

17 PANEL MEMBER BLANC: Right, right. So you'd have
18 the factor of 3.

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: Um-hmm.

20 PANEL MEMBER BLANC: And the endpoint that you're
21 looking at, even though it was a developmental study, was
22 the maternal health?

23 DPR ASSOCIATE TOXICOLOGIST LEWIS: The maternal
24 effects, yes.

25 What fetal effects were seen were seen at the

1 higher dose levels, so they didn't come -- usually we
2 assume any acute -- or any thiol effects that are seen in
3 a developmental study are acute effects that could come
4 from one day of exposure. But there weren't -- there
5 wasn't a significant increase at the lowest dose level, so
6 I didn't put it in that table.

7 PANEL MEMBER BLANC: Right. So therefore there
8 was not a rationale for beyond the factor of 3 adding in
9 an added multiplicative factor for major gaps in the
10 database?

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: The only -- I
12 was going to discuss this later on. The only possible
13 data gap was in the rat reproductive study. They did not
14 expose the neonates directly from birth to day 28. So
15 there is some potential increased sensitivity during that
16 neonatal period. And that's --

17 PANEL MEMBER BLANC: So would that apply more to
18 your 24-hour than your 8-hour level? Or what would that
19 apply to, that uncertainty?

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, I was --
21 I mean I'm just assuming you'd apply it across the board,
22 but you may -- I think that one of the arguments that
23 OEHHA had for using the uncertainty factor of 3 with one
24 hour was there was also higher incidents of asthma among
25 children, not just that there was this potential data gap

1 there.

2 But certainly if you're going to use it for one
3 hour, it seems to me you should use it for --

4 PANEL MEMBER BLANC: No, no. No, I wasn't -- I
5 support your use of addition of the three here. I was
6 asking whether you needed to go farther than that. And it
7 sounds like you don't believe that since the neonatal --
8 since the effects on the offspring that you saw here were
9 only at higher doses and not at the lower doses, it
10 doesn't sound like beyond the 3 there has to be yet
11 another multiplicative factor.

12 DPR ASSOCIATE TOXICOLOGIST LEWIS: I would agree.

13 PANEL MEMBER BLANC: Is that what you're saying?

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah.

15 CHAIRPERSON FROINES: Yeah, I got that same
16 impression from your documents.

17 PANEL MEMBER BLANC: And this may be one thing
18 that you want to say a little bit more explicitly. When
19 you -- you're going to have to add in that you're now
20 using this factor of 3. But you can say that you didn't
21 feel that you needed to have a special added uncertainty
22 factor.

23 CHAIRPERSON FROINES: Yeah, I think that's a good
24 idea.

25 DPR ASSOCIATE TOXICOLOGIST LEWIS: Now, I didn't

1 specifically mention a specific number in my document,
2 because our department doesn't have a policy yet as to how
3 we use additional uncertainty factor with children.

4 And --

5 PANEL MEMBER BLANC: Again, this isn't related
6 to -- I mean you're taking into account intraspecies
7 variability with a factor of 3. What I was asking was in
8 certain unique circumstances beyond -- up to 10 and then
9 up to 10 again, which is a factor of 100 going from
10 interspecies and intraspecies, there are times when we
11 also throw in yet another multiplicative factor if we're
12 concerned about a substance, one of whose major routes of
13 toxicity appears to be teratogenicity or similar effects.
14 And the database has such holes in it, that we don't seem
15 to have any sense of developmental toxicity effects. But
16 I think that in this case, a) we don't -- we don't suspect
17 that that's the major route by which chloropicrin would be
18 having its effects and b) there is already some data which
19 didn't see something, so --

20 CHAIRPERSON FROINES: Why -- I have two questions
21 for you. One is, why do you assume that that's not a
22 major pathway for -- developmental effects aren't a major
23 pathway?

24 PANEL MEMBER BLANC: Well, to the extent that,
25 you know, that the data is out there, it hasn't seen it.

1 And then when you're thinking about substances which act
2 primarily through acute injury effects, although we're
3 going to be talking about carcinogenicity later, it just
4 doesn't seem to be a dominant effect here or something,
5 which it's not a neurotoxic metal, it's not a -- you know.

6 CHAIRPERSON FROINES: Yeah, but --

7 PANEL MEMBER BLANC: Just up on practice we --

8 CHAIRPERSON FROINES: The problem is, is that the
9 data that we have, which goes back to World War I -- as
10 she well knows, the data on other health endpoints and
11 especially chronic or even subchronic, that data is --
12 we're making a conclusion based on less data than we would
13 like to have.

14 PANEL MEMBER BLANC: I understand. It's just --
15 I'm just basing it on what has been our approach -- what
16 is the precedent for our approach of invoking beyond the
17 standard factors major data gap adjustments? And so far
18 they haven't made an argument that suggests that we need
19 to invoke that. And I think there --

20 CHAIRPERSON FROINES: Well, the --

21 PANEL MEMBER BLANC: I'm just basing it on what
22 our precedent is up till now.

23 CHAIRPERSON FROINES: The certainty in the data
24 is an issue which deserves consideration.

25 DPR ASSOCIATE TOXICOLOGIST LEWIS: I have another

1 slide later on discussing the potential pre- and postnatal
2 sensitivity. I can talk about that more when I get to
3 that if you'd like.

4 PANEL MEMBER BLANC: Okay.

5 --o0o--

6 DPR ASSOCIATE TOXICOLOGIST LEWIS: So that's all
7 I have to say about the 8-hour and 24-hour NOELs that were
8 derived in this document.

9 CHAIRPERSON FROINES: Let me ask you a question.
10 Because this is -- this is a very important issue in some
11 ways. Because the question is where we have -- if one
12 used to say just a factor of 10 because of a lack of data,
13 you would get a number. And she has the number using 3.
14 And the question is, in the document should there be a
15 policy that says, "Let's look at if we chose this, we
16 would get this; and if we chose this, we would get this."?

17 And then you'd have some sense of the uncertainty
18 that you're dealing with.

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: We often do
20 that in the risk appraisal sections. You know, in my
21 document here I talk about alternatives for estimating the
22 acute -- the benchmark dose from the human study. And we
23 certainly could do a similar thing for this.

24 CHAIRPERSON FROINES: Well, Let's go ahead,
25 because I think we've -- I think you're on target.

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. With
2 the subchronic studies available for chloropicrin, the
3 lowest NOELs were seen in the 90-day inhalation toxicity
4 studies with the rats and mice. These studies involved
5 six-hour exposures per day, five days a week for 13 weeks.
6 And effects were seen in both species at 1.03 ppb and
7 higher, and included mortalities, clinical science reduced
8 body weights, food consumption, increased lung weights,
9 and a variety of pathological lesions in the nasal cavity
10 and lungs.

11 PANEL MEMBER HAMMOND: Excuse me. Is that 1 ppb
12 or 1 ppm?

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: That's 1 ppm.
14 Did I say ppb?

15 PANEL MEMBER HAMMOND: You did.

16 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. Sorry.

17 PANEL MEMBER HAMMOND: It's 1 ppm?

18 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah.

19 Because some of the respiratory lesions showed an
20 increase at the lowest dose level, although often not
21 statistically significant, a benchmark dose analysis was
22 performed on the more sensitive endpoints. And with this
23 analysis, a 5 percent response level was used because
24 these were frank effects.

25 --o0o--

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: This is a
2 summary of the more sensitive endpoints seen in mice.
3 This is from tables 3 and 4 in the document. And the more
4 sensitive endpoints in the mice were the epithelial
5 highland inclusions and rhinitis in the nasal cavity and
6 alveolar histiocytosis in the lungs.

7 And you can see that generally the females had a
8 higher incidence than the males, although not dramatic.

9 --o0o--

10 DPR ASSOCIATE TOXICOLOGIST LEWIS: In rats,
11 slightly different. Respiratory lesions appeared to be
12 the more sensitive endpoints. Besides rhinitis, they also
13 saw an increase in goblet cell hyperplasia, peribronchial
14 and peribronchiolar muscle hyperplasia, and bronchial and
15 bronchiolar epithelial hyperplasia.

16 A benchmark dose analysis was not done for the
17 goblet cell hyperplasia even though there was a
18 significant increase at the lowest dose level. And this
19 was because the dose response in the females was
20 non-monotonic and I couldn't get a good fit with this
21 data.

22 And also in males, the increase was not
23 significant by either trend or pairwise degrees.

24 PANEL MEMBER HAMMOND: Well, wait a minute.
25 There was no -- there was a large effect. Seventy percent

1 were affected at no dose.

2 DPR ASSOCIATE TOXICOLOGIST LEWIS: In the males?

3 PANEL MEMBER GLANTZ: The lowest dose -- or no
4 dose.

5 PANEL MEMBER BLANC: No dose.

6 PANEL MEMBER HAMMOND: But the no dose you've got
7 seven out of ten affected.

8 PANEL MEMBER BLANC: Well, it's not an effect if
9 there's no exposure, is what she's trying to say.

10 PANEL MEMBER HAMMOND: Yes. But it's not that
11 there's -- there's a difference between a lack of adults
12 response curve and a lack of an ability to see it. You
13 wouldn't be able to see a dose response curve in this
14 case.

15 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah.

16 PANEL MEMBER LANDOLPH: The background's too
17 high.

18 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, the
19 background's too high.

20 PANEL MEMBER HAMMOND: Yeah, the background's too
21 high.

22 So it's not that there's no dose response. We
23 can't tell.

24 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, I guess
25 I just -- yeah, it didn't --

1 PANEL MEMBER HAMMOND: There was a difference.

2 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. I see
3 your point. Okay.

4 --o0o--

5 DPR ASSOCIATE TOXICOLOGIST LEWIS: So Table --

6 CHAIRPERSON FROINES: That thing is very
7 interesting when you think about it, because the females,
8 the data is quite strong.

9 PANEL MEMBER BLANC: Well, we'll come back to
10 that when we come to cancer maybe. But, anyway.

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So this
12 is a summary of the benchmark dose analysis performed on
13 these more sensitive endpoints. And the lowest BMCL₀₅'s
14 were seen in mice for -- in females for epithelial
15 highland inclusions and alveolar histiocytosis. However,
16 when we converted these to human equivalent concentration,
17 taking species' differences in breathing rate into
18 account, actually the female rats had the lowest ATC for
19 rhinitis. And so this ATC was used to evaluate the
20 subchronic or seasonal exposures to chloropicrin.

21 --o0o--

22 DPR ASSOCIATE TOXICOLOGIST LEWIS: A similar
23 situation occurred in the chronic toxicity studies. The
24 lowest NOELs were seen in the inhalation studies in both
25 rats and mice. And mice, however, were only exposed for

1 78 weeks. The rats were exposed for 107 weeks. The
2 LOEL -- apparent LOEL in these studies was the same, but
3 .5 ppm in both species. However, the effects were more
4 severe in mice, with numerous respiratory lesions, whereas
5 the rats, the only respiratory lesion seen was rhinitis.

6 And I'll show you the incidence of these.

7 --o0o--

8 DPR ASSOCIATE TOXICOLOGIST LEWIS: These again
9 are just the more sensitive endpoints that were seen. And
10 in mice, the lesions were the same. Essentially the more
11 sensitive ones were the same as that seen in the
12 subchronic study, with the exception of bronchiectasis,
13 where there was a dramatic dose-related increase in this
14 effect.

15 --o0o--

16 DPR ASSOCIATE TOXICOLOGIST LEWIS: And again in
17 rats, the only thing seen was the increase in rhinitis,
18 primarily in the males.

19 --o0o--

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: So this is a
21 benchmark -- the summary of the benchmark dose analysis
22 performed for the more sensitive endpoints. And initially
23 a 5 percent response level was used with all of these.
24 However, Dr. Blanc suggested that we reduce the response
25 level for the bronchiectasis down to 2.5 percent because

1 of the irreversible nature of this lesion. So I have here
2 in parentheses the BMCL₀₅, and then on top there is the
3 BMCL at 2.5 percent response level.

4 Yes.

5 PANEL MEMBER HAMMOND: In many of these endpoints
6 you've been talking about, there were what appear to me -
7 and it's not my field - to be fairly high levels of
8 outcomes in the control groups. And to that degree,
9 that's always going to limit your ability to detect and
10 define effects. And I don't know whether that -- how that
11 relates to historical, other control groups and other
12 studies.

13 Have you looked at that at all?

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: I did not look
15 at that.

16 PANEL MEMBER HAMMOND: I mean so I think it's of
17 some importance whether these control animals had higher
18 rates of these things or whether that's the normal
19 background levels.

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: So you're
21 wondering if there's, you know, current disease or
22 something as that?

23 PANEL MEMBER HAMMOND: You know, and go back
24 like -- I mean, look at my -- I don't know anything about
25 the health of rats generally in labs. But some of these

1 things seem to have relatively high levels in the control
2 group to me. But --

3 PANEL MEMBER BLANC: Well, I think that would --
4 I'd be more concerned about that if it was so true across
5 the board that they couldn't analyze anything. But since
6 they do have some endpoints that are good -- are solid
7 endpoints and that some of the things for which there were
8 pretty high rates and the control groups are less
9 pathological anyway, like a little bit of rhinitis, I'm
10 not so concerned that that limits their ability.

11 But one question that I would have since one
12 thing that drives your benchmark calculations
13 mathematically is the noise of the system --

14 PANEL MEMBER HAMMOND: Yeah, basically
15 contributes to that.

16 PANEL MEMBER BLANC: Yeah. So it's nice the one
17 that you've chosen, the bronchiectasis, doesn't have any
18 observations in the referent group. But --

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: It also has a
20 very high -- or the highest incidence at the high dose.

21 PANEL MEMBER BLANC: Right. Yeah, so it's
22 monotonic.

23 Would you have more security in your estimate if
24 you combined the observations in the males and females
25 since they are almost identical? Would that change

1 your --

2 I can look at that. When we do that, I always
3 tend to keep the sexes separate.

4 PANEL MEMBER BLANC: I know. But in this
5 particular case they're so very close.

6 DPR ASSOCIATE TOXICOLOGIST LEWIS: You know what
7 I think it would do -- let me move. Actually though I
8 think it would increase the BMCL. Because if you look at
9 the males, you're coming out with a higher estimate. So
10 if you average this data, I would think that this would
11 actually bring the BMCL up.

12 PANEL MEMBER BLANC: But it would give you more
13 security in the estimate, wouldn't it?

14 DPR ASSOCIATE TOXICOLOGIST LEWIS: That would --

15 PANEL MEMBER BLANC: I don't think it's going to
16 bring it up very much.

17 DPR ASSOCIATE TOXICOLOGIST LEWIS: No, it's not
18 dramatic, four eighteen and fifty.

19 CHAIRPERSON FROINES: Why don't you take a look
20 at it.

21 PANEL MEMBER BLANC: Because it's nice -- you
22 know, bronchiectasis is a hard endpoint.

23 PANEL MEMBER BYUS: What is it exactly? Since
24 we're talking about it. Refresh our memory as to what
25 exactly it is.

1 reversed mutation assays with salmonella were positive
2 usually with TA100 with activation.

3 Also notable was a positive Comet assay with TK6
4 cells that show high levels of primary DNA damage. Other
5 notable positive assays was an in vitro chromosomal
6 aberrations assay with CHO cells and a cystochromatid
7 exchange assay with human lymphocytes.

8 There were also notable negative assays,
9 including a forward mutation assay with mouse lymphoma
10 cells in vitro and in vivo micronucleus assays and in
11 vitro chromosomal aberrations assay with human
12 lymphocytes.

13 However, due to the positive task for gene
14 mutation in DNA damage, DPR concluded that a genotoxic
15 mode of action for tumor formation was possible.

16 --o0o--

17 CHAIRPERSON FROINES: I think when you take into
18 account the electrophilicity of the compound, that adds to
19 the weight of the genotoxicity outcomes.

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. In the
21 carcinogenicity studies for chloropicrin, an increase in
22 lung tumors was seen in one inhalation study with mice.
23 The increase was significant for adenoma -- well, let me
24 just move on to the next slide.

25 --o0o--

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. And
2 this table summarizes the lung tumors in female mice seen
3 with the inhalation carcinogenicity study. And there
4 was -- oh, and I should point out the denominator in the
5 first three rows is the number of animals that survived
6 today, 253, which was the time the first tumor was
7 observed -- the lung tumor was observed.

8 And when expressed -- the incidence was expressed
9 this way, there was a significant trend in the incidence
10 of the adenomas as well as the combined incidence of
11 adenomas and carcinomas. However, there was not a
12 significant increase in pairwise comparison. Although I
13 have to point out that when the incidence was combined for
14 adenoma and carcinoma, the Fishers exact test approached
15 significance level with a P value equal to .053.

16 CHAIRPERSON FROINES: Can I make one comment?

17 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah.

18 CHAIRPERSON FROINES: Unless I'm mistaken --
19 well, I'm not mistaken -- this is a 78-week study instead
20 of 104 weeks, which is what we'd prefer. And so when
21 you're comparing 78 weeks, you're dealing with a
22 very -- with a relatively young animal compared to the
23 chronic animal bioassays that the NTP does, which are 104.
24 So you're not going to expect to see cancers at 78 weeks.
25 You would expect to see cancers as the animals

1 reach -- you know how the curve goes. We all know how the
2 curve goes. And 78 weeks makes these studies -- the fact
3 that you're finding positive results is striking given the
4 age of the animals, I think.

5 PANEL MEMBER LANDOLPH: Yeah. And I would add to
6 your comment -- I was looking at the carcinoma data again.
7 It's positive. It's not terribly dose responsive at this
8 point. That may be because of the consideration you just
9 raised. It also may be because the dosing -- you know,
10 maybe you should extend it higher and lower. But that's
11 positive data.

12 And the adenoma data is positive against the high
13 background. That background is very high.

14 So that's kind of the best you can do. But it is
15 positive. I wouldn't say it's negative data.

16 DPR ASSOCIATE TOXICOLOGIST LEWIS: NTP recommends
17 adjusting the tumor incidence based on survival even when
18 survival is -- there is no dose-related effect on
19 survival, which was the case in this study. And so we did
20 a Poly-3 -- reexamined the tumor incidence using a Poly-3
21 trend test, which takes survival into consideration.

22 And one of the advantages of this trend test over
23 some others that also adjust for survival is it doesn't
24 require you knowing whether or not the tumor was the cause
25 of death.

1 I should also note that the Poly-3 trend test is
2 the default trend test that NTP uses.

3 With this test, the animals at risk, the
4 denominator, are adjusted waiting the animals -- based on
5 when they died and whether or not they had a tumor.

6 So the incidence in the bottom row here is the
7 incidence calculated with a Poly-3 trend test. And you
8 can see the numerator hasn't changed. It's just the
9 denominator, the animals at risk, has changed.

10 And so with this analysis, not only is the trend
11 significant. The incidence now at the high dose level
12 comes out significant by pairwise comparison at the .05
13 level.

14 --o0o--

15 DPR ASSOCIATE TOXICOLOGIST LEWIS: There was an
16 increase in tumor seen in another study. This was in an
17 oral study in rats. There was a significant increase in
18 mammary fibroadenomas in female rats that was significant
19 by trend analysis and pairwise comparison.

20 DPR concluded that the weight of evidence was
21 sufficient to warrant a quantitative assessment of
22 carcinogenicity because there was a significant increase
23 in tumors seen in two different species from two different
24 laboratories and there was evidence of genotoxicity.

25 The cancer potency was then estimated to be

1 2.5 -- 2.3 per milligram/kilogram-day based on the
2 incidence of the lung tumors in female mice.

3 --o0o--

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: So this table
5 just summarizes the critical endpoints and human
6 equivalent concentrations that DPR used in their risk
7 assessment for chloropicrin.

8 CHAIRPERSON FROINES: I was impressed with your
9 table where you compared a whole range of compounds. And
10 for this committee to have this compound be more potent
11 than diesel is like our history being repeated for it
12 again.

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, it was
14 interesting. It bothered me. I kept recalculating the
15 cancer potency, because I didn't believe that number
16 either, because that's been the highest potency factor I
17 have ever calculate. But I think it's because the
18 concentrations in the study are so low because of its high
19 toxicity. That's why its potency is so high.

20 PANEL MEMBER LANDOLPH: And, in fact, I loved
21 that Table 18. And when you read it according to your
22 calculated potencies there, chloropicrin is equivalent to
23 benzpyrene, dibenzo[a,e]-pyrene, 7H-dibenzo[c,g]carbazole,
24 1,8-dinitropyrene and 5-methylchrysene, and certainly
25 benzo[a]pyrene and dibenzo[a,e]-pyrene and carbazole are

1 considered very strong carcinogens. So your number, 3.9,
2 is equivalent to those.

3 So Dr. Errol Zeiger's arguments may be true that
4 the mutagenicity, although positive, is weak. But the
5 carcinogenicity certainly is not weak for this compound.
6 It's very strong.

7 In fact, it's stronger than nickel, which is --
8 and they're known human carcinogens.

9 DPR ASSOCIATE TOXICOLOGIST LEWIS: I think one of
10 the problems with demonstrating the carcinogenicity is
11 because of its toxicity, that it's very hard to give it a
12 dose level that doesn't end up killing it. So you have to
13 do a delicate balance in order to show the --

14 PANEL MEMBER LANDOLPH: And it often occurs with
15 things like MNNG as an example, which is causing
16 horrendous killing while it's causing mutagenesis and
17 carcinogenesis. And this is similar.

18 CHAIRPERSON FROINES: We were impressed with the
19 Chromium 4 that was so potent.

20 (Laughter.)

21 CHAIRPERSON FROINES: Do you have that in front
22 of you?

23 DPR ASSOCIATE TOXICOLOGIST LEWIS: No, no, I
24 don't.

25 CHAIRPERSON FROINES: Joe, does, I think. And

1 Kathy does.

2 PANEL MEMBER LANDOLPH: They meant Chromium 6.
3 It's a transportation --

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, yeah.
5 Okay, yeah.

6 PANEL MEMBER BYUS: Yeah, I'd like to just
7 comment since we're -- just about a minute about the
8 carcinogenicity as well. I mean I think that you're right
9 about the toxicity. But I think more specifically - and
10 you mentioned it in here - it's the lack of weight gain
11 and the caloric restriction that could be even more vastly
12 underestimating this. And so these animals, and you have
13 the data throughout that says this, are not gaining weight
14 and they're not -- most of them aren't eating as much
15 food. So it winds up being nutrient as well as caloric
16 restriction. And so what that will do is vastly
17 underestimate the number of tumors that you're going to
18 see in your experimental group versus your control group.

19 And I really worry about this a lot with a lot of
20 toxic, even semi-toxic compounds. So I mean I think --
21 that's all.

22 PANEL MEMBER LANDOLPH: And, you know, to
23 continue that argument, I think this is the tip of the
24 iceberg, because I loved your table on page 2 where you're
25 calculating RfC's for children and adults, and they're,

1 you know, .73 to 8.7 parts per billion. And then if you
2 use a default presumptive linearized dose response curve
3 for this as a carcinogen, you come up with .23 parts per
4 trillion, i.e., four orders of magnitude lower. So at
5 some time when it's appropriate, I'd like to still open a
6 debate as to how we recommend this be regulated.

7 CHAIRPERSON FROINES: Well, I think that the
8 point is that when you add in -- what you've just said,
9 you add in the nutritional issues, you add in the 78
10 weeks, and you add in the electrophilicity of the
11 compound, you have -- you've really added more, much more
12 weight to the conclusion than you had before in some
13 respects. And so it's useful to add that and it's --
14 because you've done such a good job up to this point.

15 PANEL MEMBER BLANC: Can I just clarify those.

16 The values that are in the second column actually
17 are going to change downward for several of those based on
18 what we've been discussing so far?

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, those
20 are the ATCs too. Those aren't the reference
21 concentrations. So they don't have all the uncertainty
22 factors applied in there.

23 PANEL MEMBER BLANC: I see.

24 DPR ASSOCIATE TOXICOLOGIST LEWIS: So there's no
25 additional uncertainty factor for children. The HEC for

1 the one hour actually would go up because I'm using the
2 nitric oxide increase. But then the RfC would go down
3 because of larger uncertainty factors applied to that.

4 PANEL MEMBER BLANC: Right. And is
5 there -- where does this table appear? This is the --

6 DPR ASSOCIATE TOXICOLOGIST LEWIS: It's page 59 I
7 have up there. I tried to --

8 PANEL MEMBER BLANC: Right. And so that one we
9 can see actually the RfC in that table as opposed to this
10 one?

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, I
12 just -- you know, with space limitations I just --

13 PANEL MEMBER BLANC: No, no, no, no, no. I just
14 want -- what I wanted to do was make sure that the values,
15 as opposed to this one where there are some -- the values
16 are higher for certain categories, even though it's a
17 longer exposure -- but actually when you do the RfC,
18 it's --

19 DPR ASSOCIATE TOXICOLOGIST LEWIS: Yeah, that's
20 deceptive when you look at the human study compared to the
21 animal study.

22 PANEL MEMBER BLANC: Right, I gotcha. Okay.

23 PANEL MEMBER FRIEDMAN: I'd like to ask Craig,
24 could you explain the mechanism you're referring -- is it
25 that the bad nutrition shortens their life or is it that

1 it --

2 PANEL MEMBER BYUS: The most accepted, any animal
3 model for cancer, and even human model -- human model --
4 but even in humans now and chimpanzees and primates, the
5 most effective thing you can do to prevent cancer in a
6 carcinogenicity cancer model like a non-transplantable is
7 to restrict calories, as opposed to restricting nutrients.
8 Simply a caloric -- nutrient -- obviously if you reduced
9 the vitamins, things like that, that also can increase
10 your -- or reduce your incidence. But if you actually
11 just reduce the calories below a certain -- I mean they've
12 calculated how much this is. It has to do with ad
13 libitum-fed diets for animals versus what they would get
14 in the wild, for example. And for human beings, we're
15 talking about being a very hungry person, okay, if you
16 were going to -- to get down below caloric -- we're not
17 just talking about being thin. We're talking about being
18 sort of uncomfortably hungry and slightly underweight.
19 But you markedly increase life span and you markedly
20 reduce the tumor incidence.

21 And so for animal studies, you have to be very
22 careful that the animals are -- all have the same weight
23 and et cetera when you do these comparisons. And for many
24 classic carcinogens that just affect DNA that aren't
25 necessarily so innately toxic, if you put those animals on

1 a caloric restricted diet, you markedly reduce the tumor
2 incidence.

3 So in these kinds of studies where you're giving
4 nasty tasting, smelly things, that ultimately reduce the
5 body weight, that's going to undoubtedly reduce the tumor
6 incidence.

7 CHAIRPERSON FROINES: But I would --

8 PANEL MEMBER BYUS: I mean that's in a nutshell
9 what it is. And, again, this state has progressed
10 enormously now, because now they've identified some of the
11 genes that are involved. In primates they've done these
12 studies. They didn't know whether this worked in
13 primates. They do now know that the same thing happens in
14 primates as it does in rodents. And they've actually now
15 identified some of the genes that they think are involved
16 in this.

17 So I mean the mechanism is beginning to be
18 actually worked out molecularly.

19 CHAIRPERSON FROINES: It's actually a little bit
20 more complicated.

21 PANEL MEMBER BYUS: It is.

22 CHAIRPERSON FROINES: Because I did a two -- I
23 did a chronic animal bioassay with arsenic. And we -- the
24 animals were deficient in choline, folic acid, and
25 creatinine. And we produced enormous numbers of cancers

1 in the animals with no arsenic. And so their nutrition is
2 another factor.

3 PANEL MEMBER BYUS: Correct. And when I talk
4 about the caloric restriction alone, that they control for
5 the nutritional variability in a classic experiment. But
6 some of the older, quote, caloric restriction experiments
7 wound up being nutrient restricted as well as caloric
8 restricted.

9 So what you have to do as animals wind up eating,
10 you have to make sure you have the same exact levels of
11 nutrients in your diet. So you have to modify the diet
12 formulation in order to make sure the animals in every
13 group get exactly the same amount of nutrients as well as
14 being reduced in calories in a dose responsive manner. So

15 See what I mean?

16 PANEL MEMBER FRIEDMAN: So you need calories to
17 form a tumor?

18 PANEL MEMBER BYUS: Well, it's probably more --
19 that's simplistically. But molecularly now -- and I wish
20 I could remember the gene that they've identified.
21 They've identified a number of genes that they think are
22 mediating this.

23 CHAIRPERSON FROINES: We should move ahead,
24 because this could turn into a whole discussion because
25 it's so topical.

1 PANEL MEMBER BYUS: You did in your document
2 present this and you discussed it in a sense probably not
3 as I would be able --

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: No, as at
5 length as you have.

6 PANEL MEMBER BYUS: Right. But you did present
7 that in there and you do mention the fact that these
8 animals are losing weight, et cetera.

9 PANEL MEMBER FRIEDMAN: Well, the manufacturers
10 have apparently questioned the carcinogenicity. So
11 anything that you can --

12 PANEL MEMBER BYUS: Well, as John said -- I think
13 John's little summary of the three or four -- the four
14 additional things that we would all believe would add to
15 the weight of evidence I think is very persuasive. I'd
16 like to see that enumerated somewhere. Joe's --

17 PANEL MEMBER LANDOLPH: And you can question --
18 anybody can question carcinogenicity. But if it's up
19 around benzopyrene and it's higher than nickel, which is a
20 known strong human carcinogen, I don't agree with them.

21 PANEL MEMBER FRIEDMAN: Well, they have some,
22 quote, expert statisticians saying that the tests that
23 were done were not appropriate or whatever. I just think
24 that that should be dealt with fully.

25 PANEL MEMBER LANDOLPH: Yeah. My opinion is you

1 have to be careful when you look at this -- you know, this
2 data. Obviously these are not the perfect animal assays.
3 But I would find it difficult to make this data go away
4 from in front of my eyes. I think there's too much of it,
5 number one. And, number two, when you're getting
6 potencies above nickel and around diesel exhaust and
7 benzopyrene, that's very difficult for me to make it go
8 away. So I don't agree with that. I see their arguments,
9 but I don't agree.

10 CHAIRPERSON FROINES: In terms of my points,
11 Gary, a 78-week assay is an incomplete study.

12 PANEL MEMBER FRIEDMAN: I'm not trying to defend
13 the manufacturer's position. I'm just saying it's out
14 there and it should be dealt with.

15 CHAIRPERSON FROINES: And then when you add the
16 electrophilicity of the compound, it reinforces her
17 perception of the data. It just adds to the weight of the
18 data.

19 PANEL MEMBER GLANTZ: Well, I think what Gary's
20 saying, he's agreeing with you. I think he's just
21 saying -- I think everybody's saying you just want to have
22 this all pulled together in one place, maybe even a little
23 table that says, you know, here are several important --
24 you know, when you look at the biases that are built into
25 the studies, they're all biased against finding a result.

1 PANEL MEMBER HAMMOND: Yeah, exactly.

2 PANEL MEMBER GLANTZ: And yet you still got the
3 result.

4 PANEL MEMBER BYUS: Correct.

5 CHAIRPERSON FROINES: Just for her benefit, I did
6 a 16-week study, and I've never recovered from how badly
7 that was designed. So I say what I say with just self --
8 with some humility.

9 PANEL MEMBER GLANTZ: Why don't we go on.

10 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. Moving
11 on.

12 --o0o--

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So to
14 evaluate the risk for non-carcinogenic effects a margin of
15 exposure was calculated, which is the human equivalent
16 concentration divided by the air concentration either from
17 air monitoring or air modeling. And generally an MOE
18 greater than a hundred is desired, assuming that humans
19 are ten times more sensitive than animals and that there's
20 a tenfold variation in the sensitivity of the human
21 population.

22 In order to not list a pesticide as a toxic air
23 contaminant, however, the MOE needs to be tenfold
24 lower -- the air concentration needs to be tenfold lower
25 than those that are considered protective of human health.

1 This translates into the MOE being greater than a
2 thousand.

3 However, for sensory irritation, the MOE only
4 needed to be greater than 30 because there was no
5 interspecies uncertainty factor for this endpoints till
6 it's based on a human study. Also, the intraspecies
7 uncertainty factor was reduced to 3 because no
8 toxicokinetic variation was expected due to its direct
9 acting mechanism of toxicity.

10 --o0o--

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: For
12 carcinogenicity, the risk was calculated by multiplying
13 the potency times the exposure expressed in milligram per
14 kilogram-day.

15 Generally a risk less than 1 in a million or 10
16 to the minus 6 is considered negligible. However, in
17 order to not list a pesticide as a TAC, the risk needs to
18 be less than 1 in 10 million

19 --o0o--

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So
21 these are the margins of exposure for bystanders of soil
22 fumigation, assuming the worst exposure estimates. And
23 you can see that they are well below the target MOEs of 30
24 and a thousand by several orders of magnitude.

25 (Laughter.)

1 shows the risk estimates -- cancer risk estimates. And I
2 only have the estimates for the application method that
3 had the highest lifetime exposure estimates, which was the
4 bed and tarp application method. And the risk estimates
5 come out to between two and six excess cancer cases in a
6 hundred people.

7 PANEL MEMBER HAMMOND: Excuse me. That's for the
8 residential.

9 But the occupational, that's going to be the
10 bystanders.

11 DPR ASSOCIATE TOXICOLOGIST LEWIS: That's the
12 bystanders. The bystander can be residential or --

13 PANEL MEMBER HAMMOND: Right. But do you have an
14 occupational number there?

15 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, I'm sorry.
16 I have not even been paying attention to my own table.

17 Okay. This is -- yeah, this occupational --
18 these could be occupational.

19 PANEL MEMBER HAMMOND: No, but the occupational
20 exposures haven't been estimated yet, right?

21 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, no. These
22 are occupational bystanders as opposed to --

23 PANEL MEMBER HAMMOND: Exactly. And I think it's
24 very -- no, but I think it's very important to put that
25 word in there.

1 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, in the
2 title.

3 PANEL MEMBER HAMMOND: In the title, because
4 there's already in the previous, you know, presentation
5 that we haven't even begun to look at the exposure of the
6 people who are doing the application. This is the
7 bystander --

8 PANEL MEMBER LANDOLPH: And this again --

9 PANEL MEMBER HAMMOND: -- occupational bystander.

10 CHAIRPERSON FROINES: Do we -- you will do
11 occupational; is that correct?

12 PANEL MEMBER BLANC: Not for this process.

13 CHAIRPERSON FROINES: Yes. Because when the
14 procedure for risk assessment changed a few years ago,
15 occupation became one of the things that was added, I
16 think -- I believe. That's correct?

17 So I guess we will see what Kathy is looking for.

18 PANEL MEMBER HAMMOND: Well, I mean I don't know
19 whether -- you said that's several months away, right?

20 PANEL MEMBER GLANTZ: Well, I think all Kathy --
21 but it is in the title to the table. For her part she's
22 right, it would be clearer if you said residential
23 bystander and occupational bystander.

24 PANEL MEMBER HAMMOND: It's really important.

25 PANEL MEMBER BYUS: Right, it's confusing.

1 PANEL MEMBER LANDOLPH: And if I understand this
2 table correctly, these are really quite stunning figures,
3 because if you want --

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: Oh, yes. I
5 mean when your risk level is that --

6 PANEL MEMBER LANDOLPH: -- if you want it to be
7 10 to the minus 7, this is 100,000 fold higher than it
8 should be. Even if it's de minimis, which is 10 to the
9 minus 6, it's still, you know, 50,000 fold times higher.
10 So this is why I'm -- with the potency, I certainly
11 recommend that you give some more thought to this, please,
12 and in terms of regulating this based on carcinogenicity,
13 which would drive the levels down significantly lower.

14 PANEL MEMBER HAMMOND: And one other issue, and I
15 don't remember the numbers. I just remember that the
16 levels inside homes when people go back into their homes,
17 after they've been fumigated and after aeration, they're
18 still pretty high.

19 And it might be worthwhile putting those numbers
20 in, because those are actually -- I don't know where
21 they're going to fit into this, but I --

22 DPR ASSOCIATE TOXICOLOGIST LEWIS: There were no
23 cancer risk calculations for the structural fumigation
24 because there was assumed to be no chronic -- seasonal
25 chronic or lifetime exposure since it would happen so

1 infrequently. So all we have are --

2 PANEL MEMBER HAMMOND: Right, I got you.

3 --o0o--

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So
5 these are the MOEs for bystanders of structural
6 fumigation. As you can see, they're higher than what we
7 saw with soil fumigation. However, they're still below
8 the target MOEs of 30 and a thousand.

9 PANEL MEMBER HAMMOND: And just, you know -- when
10 she's using these terms, MOE, that's margin of exposure.
11 And if you're at 1, you're already being exposed to the
12 level where health effects are expected.

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, it's
14 equivalent to the no-effect level in an animal study.

15 PANEL MEMBER HAMMOND: Right, right. So I mean 1
16 is a problem. Anything less -- I mean of course we have
17 targets and we do need the targets. We need to be there.
18 But it's really quite a bit of concern I think when you're
19 there.

20 --o0o--

21 DPR ASSOCIATE TOXICOLOGIST LEWIS: And this table
22 summarizes the margins of exposures for indoor air
23 associated with structural fumigation. This is after the
24 aeration period. And they are lower than what you see for
25 bystanders and therefore obviously of some concern.

1 --o0o--

2 CHAIRPERSON FROINES: Can I -- I just want
3 to -- I was walking out when you were having that
4 discussion about occupation. And I wanted to make sure
5 everybody's clear. There is no legal responsibility under
6 AB 1807 to address occupational issues. Occupational
7 issues are -- I don't know law number, but they -- she'll
8 do -- she will do occupation but not because of this TAC
9 process.

10 PANEL LIAISON BEHRMANN: That's right.

11 PANEL MEMBER BLANC: Except for the occupational
12 bystander.

13 CHAIRPERSON FROINES: Yes.

14 PANEL MEMBER GLANTZ: Well, let's move along.

15 --o0o--

16 DPR ASSOCIATE TOXICOLOGIST LEWIS: Moving on.
17 Okay.

18 These are the MOEs for bystanders of enclosed
19 space fumigation. And these are almost the same as those
20 you see with soil fumigation. They're quite low, and
21 orders of magnitude less than the target MOE.

22 --o0o--

23 DPR ASSOCIATE TOXICOLOGIST LEWIS: And these are
24 the cancer risk assessment -- risk estimated for enclosed
25 space fumigation. And they are also quite low.

1 from the ATC to the reference concentration.

2 We did not -- in ours we did a benchmark dose
3 analysis. We convert to human equivalent concentrations.
4 We do not do the RGDR adjustment. And instead we prefer
5 to just use the standard default uncertainty factors of
6 100 to come up with our reference calculations. And
7 this -- a similar thing happened with the chronic
8 reference concentration.

9 The thing that's interesting is, given the
10 differences in the approach, that we ended up with similar
11 reference concentrations.

12 --o0o--

13 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. I have
14 just a couple other issues that I will mention before I
15 finish here.

16 We did evaluate the potential for pre- and
17 postnatal sensitivity to chloropicrin. And in the
18 developmental toxicity studies in rats and rabbits, the
19 fetal NOELs were always equal or greater than the maternal
20 NOELs. Furthermore, the fetal effects that were seen were
21 nonspecific signs, possibly secondary to the maternal
22 toxicity.

23 In the rat reproductive toxicity study the pup
24 NOEL was also equal or greater than the parental NOEL.

25 These findings to me are not that surprising

1 of any, no.

2 CHAIRPERSON FROINES: Thanks.

3 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay. So in
4 conclusion, with soil fumigation, all the bystander MOEs
5 are significantly less than their target MOEs, as well as
6 the cancer risks being significantly greater than
7 their target risk levels. So clearly the off-site air
8 concentrations associated with soil fumigation meet the
9 criteria for listing chloropicrin as a Toxic Air
10 Contaminant.

11 With structural fumigation, all the bystander
12 MOEs were significantly less than their target. Also the
13 MOEs for indoor air were significantly less than their
14 targets. And so the off-site and indoor air
15 concentrations associated with structural fumigation also
16 meet the criteria for listing chloropicrin as a toxic air
17 contamination.

18 And with enclosed space fumigation, again the
19 bystander MOEs are significantly less than their target
20 MOEs and the cancer risks are significantly greater than
21 their target risk levels. And so the off-site air
22 concentration associated with this use clearly meet the
23 criteria for listing as a TAC.

24 So that concludes my presentation. Are there any
25 more questions?

1 CHAIRPERSON FROINES: I think everybody on this
2 panel would agree that that was an extremely fine
3 presentation, and we appreciate it very much.

4 DPR ASSOCIATE TOXICOLOGIST LEWIS: Thank you.

5 CHAIRPERSON FROINES: That was really terrific.
6 And your slides themselves were very easy to read and
7 understand. So it makes a big difference.

8 So we have -- Paul leaves in 25 minutes. And the
9 question is -- we can start going through the panel with
10 any questions and -- the question, Peter, I don't know,
11 is, in terms of people's flights --

12 MR. MATHEWS: We could go till 2.

13 CHAIRPERSON FROINES: No, but can we go after 2
14 if Paul leaves?

15 MR. MATHEWS: Yes. To a certain extent, yes.

16 PANEL MEMBER BYUS: Not really.

17 CHAIRPERSON FROINES: I personally would like
18 Paul -- Paul was the lead. And so --

19 PANEL MEMBER BLANC: Co-lead.

20 CHAIRPERSON FROINES: Co-lead. Sorry.

21 PANEL MEMBER GLANTZ: Well, why don't we just see
22 what questions people have?

23 CHAIRPERSON FROINES: We will. But I want to
24 make sure that if -- I want to just ask the question, that
25 when Paul leaves, do people want to stop or continue later

1 in the day?

2 PANEL MEMBER LANDOLPH: Well, Peter, could you
3 get us later flights out? I don't mind hanging around to
4 finish business.

5 MR. MATHEWS: It's doable, but I can't be
6 certain.

7 PANEL MEMBER BYUS: No, I'm leaving at 2 as well.

8 CHAIRPERSON FROINES: Oh, you are?

9 PANEL MEMBER BYUS: I have to, yeah. My
10 flight's -- I've got to get out of there. I don't think
11 there is another flight for me. So I have to get out.

12 CHAIRPERSON FROINES: So then I would say, unless
13 somebody strongly disagrees, that we close the meeting at
14 2 o'clock.

15 And that during the time between this meeting and
16 next meeting, the leads work on the findings. And we can
17 bring this to closure at the next meeting.

18 PANEL MEMBER GLANTZ: Yeah, I think that's
19 probably true. Why don't we see what remaining questions
20 people have in the next half hour.

21 CHAIRPERSON FROINES: Okay. Paul, why don't you
22 start -- well, Kathy, why don't you start, because you
23 worked with one of the co-leads.

24 PANEL MEMBER HAMMOND: Well, I was. But since
25 Paul -- oh, we're going to stop anyway at 2, right? Okay.

1 I haven't sat there and looked at this directly.
2 But remembering that chloropicrin is used both as an
3 active ingredient and as a warning agent, to what degree
4 do these findings hold when chloropicrin is used as a
5 warning agent at the less than 2 percent -- say at the 2
6 percent or 1 percent level?

7 DPR ASSOCIATE TOXICOLOGIST LEWIS: Well, I mean
8 the only thing we've done where it's just used as a
9 warning agent is the structural fumigation studies. But
10 if you look at the soil fumigation, it's a dose-related
11 effect. So you would obviously have to, you know,
12 reduce -- yeah, reduce --

13 PANEL MEMBER HAMMOND: Well, yeah. I guess what
14 I'm saying is I think it might be worthwhile to fold
15 into -- to make tables to fold in, tables that include
16 what's the MOE when it's used as a warning agent.

17 DPR ASSOCIATE TOXICOLOGIST LEWIS: So, say, with
18 soil fumigation, say --

19 PANEL MEMBER HAMMOND: Right.

20 DPR ASSOCIATE TOXICOLOGIST LEWIS: Okay.

21 PANEL MEMBER HAMMOND: I mean I think -- you can
22 do this, right?

23 DR. BEAUVAIS: Certainly it can be done. I mean
24 basically what we're assuming, we'd just say, you know, 2
25 two percent of the exposure. And then they're going

1 to -- yeah, that's...

2 The reason that we haven't been doing that, for
3 example, for lifetime exposures is that it's really
4 difficult with multiple exposures to assume that somebody
5 would only be exposed to a particular concentration. And
6 so that's where we end up saying, "Okay, what's the
7 reasonable worst case?" And that's really what we're
8 looking at here. I mean we can go away from the screening
9 estimate approach. But -- I guess in terms of what the
10 intent of this document is.

11 Now, when we get to the full exposure assessment,
12 there actually -- the occupational breaks out that way, is
13 a hundred percent chloropicrin and then the 10 1/2 percent
14 chloropicrin for that one single product, and then 2
15 percent chloropicrin for warning agent products. So the
16 occupational in the full exposure assessment looks at it
17 that way because it makes sense, because it's feasible
18 that somebody could go on repeatedly. You know, if you're
19 working on a crew that this is -- you know, they use a
20 methyl bromide product all the time, this is what they do,
21 then that makes sense.

22 But I guess in terms of screening estimates for
23 bystanders, I'm not sure that there's a lot of value in
24 looking just at the warning agent use when we have these
25 active ingredient uses also.

1 PANEL MEMBER HAMMOND: Well, I guess what --

2 MS. BEAUVAIS: Because again the question that
3 we're attempting to answer here is, does this meet the
4 criteria for listing as a toxic air contaminant?

5 PANEL MEMBER HAMMOND: And I guess -- and I may
6 be anticipating. I may be -- john, you can correct me if
7 I'm going where I shouldn't go. But I'm wondering with --
8 you know, it looks here like a lot of excellent evidence
9 between the two of you and all the people behind you who
10 have been doing all this work, you know. And I think both
11 of you've done wonderful jobs in the presentations. You
12 made a very strong case, you know, that the margin of
13 exposure is like beyond belief.

14 But if one removed chloropicrin as an active
15 ingredient, the question -- would we be in a situation
16 where we would have to come back and revisit this as a
17 warning agent? I'm just trying to avoid having to do
18 that. Or is it worthwhile doing this so that we could at
19 least know whether -- maybe that doesn't belong in this
20 document. But it seems to me it would be useful to the
21 agency to have at least gone through the exercise to say,
22 is a warning agent --

23 DR. BEAUVAIS: That actually -- well, when we get
24 to the point of -- if it's determined, which this would
25 seem to meet that case, but if it's determined that

1 chloropicrin requires mitigation, our general process is,
2 when we move forward into the mitigation process, we look
3 at individual products and mitigate products as needed.
4 And that's where you would look at the concentration.

5 PANEL MEMBER HAMMOND: So it's inappropriate at
6 this point in time.

7 DR. BEAUVAIS: Yeah.

8 PANEL MEMBER HAMMOND: Okay.

9 DR. BEAUVAIS: And then so what we're looking at
10 in the risk assessment is at the active ingredient. Well,
11 and in this case also because chloropicrin has this
12 additional use, we're looking at the warning agent use as
13 well.

14 PANEL MEMBER HAMMOND: Yeah. I mean what I'm
15 concerned about is given --

16 DR. BEAUVAIS: To answer your question, would we
17 revisit it, no, because --

18 PANEL MEMBER HAMMOND: We would not need to
19 revisit it. That's what I'm trying to avoid.

20 DR. BEAUVAIS: If in mitigation it was determined
21 that it could not -- you know, that active ingredient uses
22 could not be mitigated any other way, then they would also
23 be looking at the products with the warning agent at the
24 same time.

25 PANEL MEMBER HAMMOND: I guess I want to make

1 sure these documents are sufficient for them to do this.

2 DR. BEAUVAIS: Yeah.

3 PANEL MEMBER HAMMOND: That's where I'm really
4 going, is that the documents are sufficient that they
5 don't have to start the process again, that the documents
6 are strong enough for that.

7 DR. BEAUVAIS: Right.

8 PANEL MEMBER BYUS: And I would like to just
9 reiterate that point very briefly. It's just unwise to
10 use a genotoxic agent as a warning agent. I mean I --
11 regardless of how the numbers turn out. And you know what
12 I mean by that. I don't mean -- but I'd say it's just an
13 unwise mechanistic thing to do under any scenario. So I
14 mean --

15 PANEL MEMBER LANDOLPH: Completely agree.

16 PANEL MEMBER BYUS: I mean you agree to that,
17 right?

18 PANEL MEMBER LANDOLPH: Completely.

19 PANEL MEMBER BYUS: All right. Good.

20 PANEL MEMBER LANDOLPH: I have some question as
21 to whether you want to continue to use this agent in
22 perpetuity as a pesticide. I mean I think -- it was
23 developed in 1908. This is 2009. I think there must be
24 better ways to go than this type of a compound. I'm
25 particularly concerned with the carcinogenicity and

1 mutagenicity of it.

2 And I had one more quick question.

3 CHAIRPERSON FROINES: Wait, wait, wait, wait.

4 Is Kathy -- Kathy's still on target.

5 PANEL MEMBER HAMMOND: And then again -- I know I
6 keep harping on the occupation exposure piece of that.
7 But is that going to hold up the progress of this
8 document, since that's going to be several months down the
9 road? And is that just what we have to do? Is that how
10 this goes?

11 PANEL MEMBER GLANTZ: That's a separate process.

12 CHAIRPERSON FROINES: No, at the next meeting we
13 will have our findings and we'll be done.

14 PANEL MEMBER HAMMOND: Okay. And they'll just do
15 that for your own sake and for other purposes, because
16 it's not necessary for this.

17 DR. BEAUVAIS: And then at that point we'll go
18 through the typical DPR risk assessment process. It is on
19 track going through that process, which is separate from
20 the Toxic Air Contaminants review.

21 PANEL MEMBER HAMMOND: I was concerned because
22 both the May drafts that will be available in a few
23 months. And in the same sense as they are now. But you
24 have plenty to do and there's a lot here.

25 DR. BEAUVAIS: Oh, yes.

1 PANEL MEMBER HAMMOND: Okay. And the new study
2 that came in in the structural study, how did that come to
3 your attention?

4 DR. BEAUVAIS: It was given to the person who's
5 responsible for sulfuryl fluoride risk assessment, that it
6 was actually a study to look at a new method for aeration
7 of sulfuryl fluoride. And there was chloropicrin data in
8 it, so then it was passed along to me. And so that's --

9 PANEL MEMBER HAMMOND: So it --

10 DR. BEAUVAIS: It was submitted by the
11 registrant.

12 PANEL MEMBER HAMMOND: That's why I was just
13 surprised that it was submitted by the registrant. But I
14 wasn't --

15 DR. BEAUVAIS: And it's a well conducted study
16 and it had data that enhanced and supplemented what we had
17 already had from ARB.

18 PANEL MEMBER HAMMOND: And do you have any ideas
19 why the values were so much higher than the ARB values?

20 DR. BEAUVAIS: Well, there is -- as I said, this
21 is a proposed new aeration method. And so that
22 would -- that would address the question about indoor air
23 exposures.

24 In terms of by -- but the bystander exposures or
25 the off-site exposures during the fumigation itself were

1 also higher. And I can't -- I mean I think it's simply we
2 had three studies before and now we have another one.
3 And, you know, it's like when you have a small number of
4 data points, you wouldn't expect that to capture your
5 entire population of possible --

6 PANEL MEMBER HAMMOND: I think that's exactly
7 right.

8 DR. BEAUVAIS: So that as we get the data --

9 PANEL MEMBER HAMMOND: Can I do -- let me just
10 finish --

11 CHAIRPERSON FROINES: Sorry.

12 -- just to say that I totally agree. And I think
13 the point is that this kind of data is going to be highly
14 scattered, there are going to be a few large points. And
15 I think that that is an important -- it's totally credible
16 kind of how you've given that.

17 CHAIRPERSON FROINES: No comments.

18 ARB AIR POLLUTION SPECIALIST BAKER: I can
19 comment if you want.

20 CHAIRPERSON FROINES: Can't what?

21 ARB AIR POLLUTION SPECIALIST BAKER: If you want,
22 I --

23 CHAIRPERSON FROINES: Can you come to the mike.

24 ARB AIR POLLUTION SPECIALIST BAKER: Lyn Baker of
25 Air Resources Board. I can comment if you want.

1 I would speculate that our monitoring results
2 around the structural fumigation studies were lower than
3 the industry studies because we only deployed a few
4 samplers. And at the time of the studies, we had to
5 expect where the wind was going to take the sulfur
6 fluoride and the chloropicrin. And we probably didn't put
7 the samplers exactly where the peak concentrations went.

8 Where the industry studies, as Terri and Sheryl
9 showed, had three or four samplers in several directions
10 around the homes, had a lot higher probability of catching
11 the highest concentrations. And even those studies may
12 not have captured the peak concentrations. Situations
13 where you've been modeling actually may be more worst case
14 than monitoring data.

15 PANEL MEMBER HAMMOND: Oh, I think they're both
16 important.

17 May I request possibly a little paragraph to that
18 extent that explains some of that could be included as
19 well.

20 And then the other thing just -- it just strikes
21 me, is if you have a little tent up there around a house,
22 I understand on the one hand thinking that five feet might
23 be, you know, too close for bystanders. But I think kids
24 in the neighborhood might find it really fascinating, you
25 know, and might really be near there. So I don't think

1 it's an unreasonable value.

2 CHAIRPERSON FROINES: Thanks, Lyn.

3 Kathy.

4 PANEL MEMBER HAMMOND: So I think there's an
5 excellent job here. And that's really it for now.

6 CHAIRPERSON FROINES: Great.

7 Paul.

8 PANEL MEMBER BLANC: Well, as a procedural or
9 practical matter, one thing I would suggest is that if
10 you could quickly make a list in follow-up to this meeting
11 of the points that you're -- the changes that you
12 anticipate for both the exposure assessment and health
13 assessment based on what we've discussed today, and if we
14 could get those not only back to the panel but actually
15 back to OEHHA. What I'd like to do is see some of the
16 OEHHA -- I'd like to see OEHHA revisit their document in
17 light of those, because it seemed to me that you addressed
18 most of their major points.

19 In terms of the OEHHA document, aside from that,
20 one of the -- the OEHHA critique was not as useful to me
21 as it might have been because it had a mixture of things
22 which seemed to be summaries of what DPA was saying, then
23 there were sections which seemed to be a critique but then
24 didn't actually say whether something needed to be
25 changed, and then there were parts which either ended with

1 saying, "Therefore, we agree with what OEHHA did" or
2 "Therefore, we would recommend such and such."

3 So I think different people wrote different
4 sections of the OEHHA evaluation. That's my guess. And I
5 think it needed firmer overall editorial hands to make it
6 more useful.

7 So I don't want you to rewrite it now. What I
8 want you to do is take the responses of the DPA, then go
9 back to your document and say what you think is still
10 unresolved or not. And is that okay, the way to go
11 forward?

12 Also would say that it's probably not worth going
13 into a lengthy critique and then having a last sentence
14 that says but in the end you would come to the same value
15 anyway. I mean that's really not -- probably not that
16 productive a use of energy.

17 I think that the document overall is -- errs on
18 the side of being health protective where choices are
19 needed, does a thorough job of health effects review, is
20 logical and stepwise.

21 And I think that your responses in your written
22 comments in terms of response to the industry critique,
23 which was then reforwarded to the review panel also
24 independently of your comments to it, were I thought
25 convincing and I believe that the major issues were

1 addressed. I think you have to consider ways in which the
2 text of the document, to the extent that it can, can have
3 slight modifications which build into it those responses.

4 Obviously in your document you don't want to say,
5 "and in response to such and such..." But if there's a
6 clarification, for example, in regards to the use of the
7 life-expectancy-adjusted trend test and the issue of can
8 this be applied to this species, I think you should simply
9 say in your methods, "We applied it to this species,
10 whether we don't believe there's any reason that" -- you
11 know, whatever in your sort of methodologic issues. So
12 try to build in those things and take into account if you
13 have other comments that you -- in the committee today
14 about the carcinogenicity being biologically plausible and
15 the mutagenicity and so forth. And I think --

16 CHAIRPERSON FROINES: Paul, can I comment on
17 that?

18 PANEL MEMBER BLANC: Yeah.

19 CHAIRPERSON FROINES: The document at the end
20 says something to the effect that the chloropicrin may
21 possibly be genotoxic. I think the word "possibly" is one
22 of those words that really doesn't have a lot of meaning
23 to it.

24 I would -- because we are making fairly major
25 conclusions about carcinogenicity and genotoxicity in the

1 document overall, I would say something to the effect that
2 chloropicrin appears to be likely a genotoxic compound,
3 rather than possibly. It's too wishy-washy for the level
4 of data.

5 PANEL MEMBER BLANC: Well, or you can use the
6 terminology "more likely than not," if you think the
7 weight of the evidence is more in favor than more against.
8 You know, people could argue what does "likely" mean also.
9 Is it a 80 percent likelihood or 90 percent --

10 CHAIRPERSON FROINES: "More likely than not,"
11 that sounds like a good compromise.

12 PANEL MEMBER BLANC: But I think you've heard
13 some rationale here as to why that's the case.

14 I do think that your executive summary needs to
15 be retooled, because there were changes that occurred but
16 they're not reflected in the executive summary. You know,
17 one example being the comments that you made that you have
18 new data now on the photo reactivity indicating that the
19 bulk of the photo reactivity went to nitrogen dioxide.
20 And that wasn't really reflected in the executive summary.
21 For example, the executive summary still talked about
22 photo reactions with phosgene and other things. That's
23 also true of OEHHA's comments, having -- you know, caught
24 up with that.

25 So, overall, I think that it's -- you know,

1 there's absolutely no question that this is a toxic air
2 contaminant -- meets the criteria for a toxic air
3 contaminant. I think that you have to view some of these
4 exercises that you're going through as laying the
5 groundwork for when you do other assessments which may be
6 closer to the cusp of saying something's a toxic air
7 contaminant. So I don't want you to feel that this is
8 just busy work because -- just say, "Well, you know, by a
9 factor of 10,000 this is going to be a toxic air
10 contaminant. So why do you care if I do benchmark 2.5
11 versus 5.0? You know, does it really matter?"

12 And so I think it just for those reasons, if
13 nothing else, will help you. But I do think that it marks
14 a sea change in the approach of the agency to the good --
15 to the public health good.

16 And I think it also demonstrates a much closer
17 drawing together of the OEHHA approach and the DPR
18 approach. I think the fact that their summary comments
19 were so wordy actually understates how close the two
20 agencies or two groups are, because before their findings
21 would be, "that's no good, that's no good that's no good,"
22 as much -- they could be much briefer because of this.

23 (Laughter.)

24 PANEL MEMBER GLANTZ: Can I just inject.

25 I agree with what Paul's saying. But, you know,

1 getting back to the point Kathy made about the warning --
2 using this as a warning chemical.

3 I mean as I read this, there's maybe a factor of
4 maybe 20 to 100 difference between the use of chloropicrin
5 as a warning compound versus the active ingredient. And
6 we're talking about a factor of 10,000.

7 So I think it should -- I think it wouldn't be
8 that hard based on the presentations today and the
9 feedback that you've got to just add in -- since you're --
10 you know, you've listed these other three things. I would
11 add a fourth one, which is the warning, saying --

12 CHAIRPERSON FROINES: Stan, Paul has five
13 minutes.

14 PANEL MEMBER BYUS: We all have five minutes.

15 And I think that's reasonable. I think that
16 basically what you can say is that even if on the exposure
17 side it was 120th the amount, if you reduced that by
18 120th, your MOE would still be a hundredfold above the
19 threshold for saying it's -- I think that's what Stan was
20 just trying to say. So --

21 CHAIRPERSON FROINES: Can I ask a question that's
22 a little premature?

23 There are one, two, three, four, five -- six
24 people who haven't discussed the document.

25 I'm assuming that you would like to vote -- this

1 is a toxic air -- because the changes are relatively minor
2 that are being requested. And I'm assuming -- but I want
3 to ask the question: Do you want to vote on this as a TAC
4 now or do you want to have an opportunity to discuss it at
5 the next meeting before a vote?

6 PANEL MEMBER GLANTZ: I'm comfortable voting now.

7 PANEL MEMBER FRIEDMAN: Me too. I have no
8 further questions or comments.

9 PANEL MEMBER GLANTZ: But I don't have any other
10 questions or comments?

11 PANEL MEMBER LANDOLPH: Same.

12 CHAIRPERSON FROINES: So can somebody make a
13 motion?

14 PANEL MEMBER LANDOLPH: I make a motion that we
15 vote to recommend that TAC -- that chloropicrin be listed
16 as a toxic air contaminant.

17 PANEL MEMBER HAMMOND: Second it.

18 CHAIRPERSON FROINES: All in favor?

19 (Hands raised.)

20 CHAIRPERSON FROINES: We're unanimous.

21 We actually have done a compound in one meeting.
22 This is a first.

23 PANEL MEMBER HAMMOND: Thanks to your excellent
24 work.

25 PANEL MEMBER BYUS: Thanks to your excellent

1 work.

2 PANEL MEMBER FRIEDMAN: This group did a great
3 job presenting this -- the beautiful presentations that
4 you both made. So thanks very much.

5 CHAIRPERSON FROINES: So, folks, we're done for
6 the day if somebody will make a motion to adjourn.

7 PANEL MEMBER BYUS: I might add that Joe here has
8 done an outstanding job on written comments.

9 Which you've given to them too, right?

10 PANEL MEMBER LANDOLPH: Yeah. And I re-revised
11 them today.

12 CHAIRPERSON FROINES: If anybody has other
13 comments, they should get them to me, and I will get them
14 to DPR, so we can come in to the next meeting with any
15 other -- any other questions can be dealt with by DPR
16 during the time between now and then.

17 PANEL MEMBER HAMMOND: And we're supposed to work
18 on findings; is that correct?

19 CHAIRPERSON FROINES: Yes.

20 PANEL MEMBER HAMMOND: Paul and I.

21 CHAIRPERSON FROINES: And we're going to try and
22 keep --

23 PANEL MEMBER BLANC: Well, the findings will be
24 very brief.

25 CHAIRPERSON FROINES: Well, we want them to be

1 brief.

2 PANEL MEMBER HAMMOND: But you do want to have
3 some very specific things.

4 PANEL MEMBER BLANC: I think they'll be very,
5 very brief.

6 CHAIRPERSON FROINES: If I know Paul Blanc, I'm
7 not worried about the length of this document.

8 PANEL MEMBER GLANTZ: Can I get a ride with you?

9 CHAIRPERSON FROINES: Did we adjourn?

10 Wait, wait, wait.

11 PANEL MEMBER BLANC: Yes, I move we adjourn.

12 PANEL MEMBER HAMMOND: Second.

13 PANEL MEMBER BLANC: All in favor?

14 (Ayes.)

15 CHAIRPERSON FROINES: We're adjourned.

16 (Thereupon the California Air Resources Board,
17 Scientific Review Panel adjourned at 2:00 p.m.)

18

19

20

21

22

23

24

25

